

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Oyster Creek Generating Station
License Renewal

Docket Number: (05000219)

Location: Rockville, Maryland

Date: Thursday, June 1, 2006

Work Order No.: NRC-1087

Pages 1-129

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

+ + + + +

CATEGORY 1 PUBLIC MEETING

BETWEEN

U.S. Nuclear Regulatory Commission

AND

AmerGen Energy, LLC,

Applicant for Oyster Creek Generating Station

License Renewal

+ + + + +

THURSDAY,

JUNE 1, 2006

+ + + + +

The meeting was convened in the
Commissioners' Conference Room in One White Flint
North, 11555 Rockville Pike, Rockville, Maryland, at
9:20 a.m., Donnie Ashley, Presiding Official.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

- 1 NRC PERSONNEL PRESENT:
- 2 DONNIE ASHLEY
- 3 HANS ASHAR
- 4 FRANK GILLESPIE
- 5 REBECCA KARAS
- 6 P. T. KUO
- 7 LOUISE LUND
- 8 AMERGEN AND EXELON PERSONNEL PRESENT:
- 9 MICHAEL GALLAGHER
- 10 JOHN HUFNAGEL
- 11 AHMED OUAOU
- 12 FRED POLASKI
- 13 HOWIE RAY
- 14 PETER TAMBURRO
- 15 DONALD WARFEL
- 16 ALSO PRESENT:
- 17 KYOTO TANABE, Japan NRC

C-O-N-T-E-N-T-S

<u>AGENDA ITEM</u>	<u>PAGE</u>
23 INTRODUCTIONS	3
24 USE OF ASME CODE SECTION 3 SECTION NE-3213.10	
25 FOR LOCALIZED CORROSION AREAS	24
26 VALIDATION OF UT MEASUREMENTS AND	
27 BUCKLING ANALYSIS	34
28 USE OF ASME CODE CASE 284-1	45
29 ULTRASONIC TESTING ISSUES	52
30 INSPECTION INCREMENTS WITH UT COMMITMENT	69
31	

P-R-O-C-E-E-D-I-N-G-S

(9:23 a.m.)

MR. ASHLEY: Okay, I'm going to go ahead and get started now. The other two participants can just call in when they can.

This is a public meeting between the NRC and AmerGen who is the applicant for Oyster Creek license renewal.

It's a category one meeting. We will conduct the meeting according to the agenda. At the end of the meeting we will give those people on the phone line and also the folks that are here at headquarters and opportunity to make comments or ask questions of the staff.

This meeting is being transcribed, and as a result, if when you make your statements or you make your presentations, please state your name and who you represent so that the recorder can pick that up for you.

Rather than introducing everybody in the room, probably have maybe 25 or 30 people here, I just want to introduce the participants here today.

And we'll start with our folks, and then we'll give it to you, Mr. Gallagher.

Dr. Kuo.

MR. KUO: P.T. Kuo, division of license renewal.

MS. LUND: I'm Louise Lund, a branch chief in the division of license renewal.

MR. ASHLEY: My name is Donnie Ashley. I'm the project manager for Oyster Creek license renewal project.

MR. GILLESPIE: Frank Gillespie, director,

1 division license renewal.

2 MR. ASHAR: Hans Ashar, NRC.

3 MS. KARAS: Becky Karas. I'm the chief of
4 the GSI and civil engineering branch in the division
5 of engineering.

6 MR. GALLAGHER: Okay, Frank. Can you hear
7 me?

8 I'm Mike Gallagher. I'm the vice
9 president of license renewal for AmerGen and Exelon.
10 And I'll turn it over to our team to introduce
11 themselves.

12 MR. TAMBURRO: I'm Peter Tamburro. I'm
13 senior mechanical engineer at Oyster Creek.

14 MR. OUAOU: My name is Ahmed Ouaou. I'm a
15 civil structural engineer at Oyster Creek.

16 MR. RAY: My name is Howie Ray, and I'm at
17 Oyster Creek, the new manager.

18 MR. POLASKI: For Polaski, Exelon's license
19 renewal manager.

20 MR. WARFEL: Don Warfel, the technical lead
21 for the Oyster Creek project.

22 MR. HUFNAGEL: John Hufnager, the licensing
23 lead for the Oyster Creek project.

24 MR. ASHLEY: Thank you very much. We'll go
25 ahead and get started with the agenda.

26 We have a very focused agenda today. But
27 first of all, before I get started into the agenda, we
28 really appreciate having the opportunity to meet here
29 at this commissioners' conference room. It's not
30 often we get such nice facilities to meet in.

31 This particular meeting is the first of
32 two meetings that will be conducted. The next meeting
33 is tentatively scheduled for June the 22nd, and I

1 think we're going to try to do that in the afternoon
2 so you folks won't have to either drive down early on
3 95 or the night before.

4 I'd like to welcome everyone again. We
5 have participants here from the State of New Jersey,
6 from Region 1, and Kyoto Tanabe from the Japanese NRC,
7 NISA.

8 And of course the people that are on the
9 phone line with us.

10 We're going to talk about two concerns
11 with you, and they're going to be very focused, and
12 we're not looking for answers from you.

13 John Hufnagel and I have done this sort of
14 thing many times since the license application was
15 received in July of 2005. Since that time we've had
16 three onsite audits. We've had regional inspection.
17 And I believe that Roy Matthew, the audit team leader,
18 is here. And he is still working on the audit report
19 and the inspection report.

20 The next step in this process as we go
21 through is collecting all the information that we have
22 garnered over these months in preparing the safety and
23 evaluation report.

24 Part of that has involved the request for
25 additional information. To date, we've processed
26 about 128 questions, plus or minus a few.

27 Normally, that's the reason I mentioned
28 John Hufnagel, we usually do these requests for
29 additional information on the phone. And the way that
30 we do that is, we have a discussion of what our
31 concerns are, and make sure that you understand what
32 our concerns are.

33 When we do the phone calls and meetings

1 for the request for additional information, we're not
2 looking for the answers at this time. Just that you
3 understand where we're coming from.

4 In addition, there are several hundred
5 questions that are in the Q&A database, that Matthew
6 and his team and your team put together during the
7 audits that are publicly available in the Adams
8 (phonetic).

9 The next thing that we do after we have
10 the meetings is, we're going to look for your
11 responses. And then eventually we're going to process
12 the safety evaluation report, and hopefully there
13 won't be any open items. Right now there are probably
14 some open items there that we still have to follow up
15 on. This meeting is going to address some of those.

16 Because the thing that we have to make
17 sure of is that we have reasonable assurance that all
18 of your assumptions and all of your calculations and
19 all of the programs that you've put in place will be
20 valid for the period of the extended operation.

21 So with that, I'm going to turn it over to
22 Frank Gillespie, and we'll go ahead and get started on
23 the discussions.

24 MR. GILLESPIE: Okay, thank you, Donnie.

25 The way we've organized this is, I'm going
26 to present kind of a bulletized issue, and kind of a
27 broader context. And on those issues where we think
28 we really need to give you some detail on what our
29 issue is, then I'm going to turn to Hans. And we've
30 already coordinated between Hans and I. He knows
31 which issues. And we've got some notes developed on
32 it. And as we go through the meeting, we'll do our
33 best, then potentially, to put out in a rapid way some

1 meeting minutes to share the notes.

2 And one of our concerns is, you've been an
3 applicant who has been very responsive to our requests
4 for RAIs. You have always made it on time. And on
5 the particular issue we're going to address today, you
6 almost overwhelmed us with information.

7 And so Hans in the last two weeks, and we
8 actually had Noel Dudley helping Donnie and Hans, to
9 try to take this large volume of information and say,
10 okay, here are our original questions; map that
11 information into the original questions and say,
12 what's the residual?

13 And the residual were such - and this is
14 an interesting comment, and I have to thank Mitzi,
15 who's from our general counsel, who put this in
16 perspective when we were kind of going through this
17 for me, she said, gee, this discussion is far more
18 focussed and detailed than the way we traditionally
19 write RAIs.

20 And from that I said, really, we need to
21 sit face to face, because they are very very specific
22 things that we need blanks filled in, and they are all
23 very technically oriented. And we probably wouldn't
24 do justice in kind of randomizing, because you'd focus
25 on answering the RAI, as opposed to maybe
26 understanding the underlying concern it causes us to
27 write it.

28 And so that's when I proposed this set of
29 meetings. And so therefore I think today is your
30 opportunity to pummel us with questions to ensure
31 complete understanding of the RAIs.

32 It is not our opportunity to request from
33 you an answer to them, because I really think you need

1 time to take - it's very detailed information, and
2 it's the kind of thing you need engineers back at the
3 plant, I think, probably to mull over and look at.

4 So I do thank you for your responsiveness,
5 and you overwhelmed us with information. We've gone
6 through it all. And it really has narrowed it down.

7 So now I'm going to go through the
8 bullets, and on specific ones, you're going to see me
9 turning to Hans. But I'm going to go through each
10 bullet and ask you, do you have any questions.

11 If you don't, then I'm turning to Hans,
12 and he's going to go through the specific details.
13 And some of them are more straightforward, and we can
14 go through even quickly.

15 As Donnie said, we narrowed our focus down
16 to two concerns, and both of these concerns with I
17 want to call uncertainty. So we are not making a
18 judgement as to adequacy at this time. Or in anyway
19 absolute. I'm going to suggest that much of what
20 we're talking about deals with the uncertainty in the
21 information, because of some voids in the information
22 that have to come in.

23 So we have dry wall corrosion
24 uncertainties. And then we have some ultrasonic
25 testing issues. And there are two subsets to the
26 ultrasonic testing issues. One is testing in the
27 upper portion, which is really a pressure retention
28 question, and then there is some questions on the
29 lower portion.

30 And if that doesn't come out clear as I go
31 through the bullets, you need to ask us about that.
32 Because there are two different kinds of points in
33 there, and we're trying to leave this meeting with no

1 confusion on any part. Because these are really fine
2 tuning now, kind of issues that we're in.

3 With that, let me -

4 MR. GALLAGHER: And Frank, just so you
5 know, we have Pete and Ahmed and Howie, and they are
6 like our experts on this issue. So they provided a
7 lot of that information that you're talking about that
8 we provided. So if we really have any detailed
9 questions, these will be the three individuals -

10 MR. GILLESPIE: But again, I want you
11 asking us questions today, as opposed to putting you
12 in the awkward position of thinking you need to
13 respond.

14 And so as Donnie said, there's no reason
15 to respond today.

16 MR. GALLAGHER: Right, and we really
17 appreciate that, Frank, to make sure we really
18 understand the issues.

19 MR. GILLESPIE: So let me start off.

20 Dry wall corrosion uncertainties. There
21 were assumptions in the 1991 GE report. Within these
22 assumptions there's uncertainties in the simulations
23 of degradation calculations in the associated
24 analyses. This is not a your action, this is an our
25 action. I just want to let you know that as part of
26 our review, we may be doing an independent calculation
27 or something to reinforce the assumptions in the basic
28 calculation itself.

29 So that's not an action for you; that's
30 really an action for the staff. And you might say
31 it's by way of almost what we do in other areas of
32 thermal hydraulics and other things, where we'll do a
33 confirmatory calculation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N.W.
WASHINGTON, D.C. 20005-3701

1 But so you know it's happening, it's going
2 on, we may be coming back to you for data in support
3 of that calculation later.

4 Uncertainties in ultrasonic testing
5 results: There are two key issues here that Hans is
6 going to go over in a little more detail.

7 One, there's a report that's referenced
8 that has a disclaimer in it. And the disclaimer says
9 something like, no one at GE or AmerGen can be held
10 responsible for the accuracy of this report.

11 It sounds like a boilerplate disclaimer.
12 But nonetheless, it's kind of - again, we're really
13 fine tuning, so I'm being very specific here. The
14 disclaimer raises issues of, well, do you believe the
15 report you referenced.

16 The second piece, which is probably more
17 important with this, and now I'm going to turn to H
18 ans on this, is what I'm going to call the evaluation
19 of the grid data itself.

20 And so I've broken this one down into two
21 things: the disclaimer, which I'd like to
22 administratively have you - ask you to please look at
23 it and deal with it. Does it still stand?

24 And now I'm going to turn to Hans on the
25 grid data evaluation.

26 Hans.

27 MR. GALLAGHER: Yes, okay, and Frank, is
28 this in the lower portion? Because you broke it up
29 into upper and lower?

30 MR. GILLESPIE: In general.

31 MR. ASHAR: In general.

32 Let me narrate what I have written,
33 because this is transcribed; I cannot be informed

1 about it.

2 So attachment 1-A of the GPU letter dated
3 November 26th, 1990, makes a statistical evaluation of
4 the UT measurements data taken up to 1990.

5 On the cover page of the report, GPU
6 Nuclear Corporation states in their disclaimer: The
7 work is conducted by individuals for use by GPU.
8 Neither GPU nor the authors of the report warrant that
9 the report is complete or accurate.

10 In view of this disclaimer, the applicant
11 is requested to provide a detailed description of the
12 way the UT measurements data, whether taken as part of
13 the 6X6 grid, or isolated readings, were evaluated and
14 used in performing the analysis.

15 Do you understand?

16 MR. GALLAGHER: I don't.

17 MR. GILLESPIE: We're open for questions.

18 MR. ASHAR: Regarding the clarity of the
19 question.

20 MR. GALLAGHER: Okay. What was the report
21 name again?

22 MR. ASHAR: It is attachment 1-A to the GPU
23 letter dated November 26th, 1990, which is a
24 statistical inference of the UT data.

25 MR. GALLAGHER: Okay. And your question is
26 related to the disclaimer itself.

27 MR. ASHAR: Disclaimer, which is in 1-A has
28 been used, or if something different is used, what
29 kind of confidence level has been used. Because that
30 particular report talks about the mean and confidence
31 level. But whether it is used effectively all the
32 time, we have no idea.

33 Because we looked at the report. We

1 didn't interpret report.

2 MR. ASHAR: Let me see if I can - this is
3 the kind of dialogue we need to have. Because we're
4 down in the details, really, now. Okay?

5 MR. GALLAGHER: Yeah, this is pretty
6 focused.

7 MR. GILLESPIE: And Hans and I have spent
8 a lot of time together in the last week or so. So let
9 me say it and then ask him if I've said it right.

10 Basically in the measurements that were
11 taken it's a scanned area with a grid array of
12 measurements. And it's not clear whether that's a 95
13 percent confidence interval, is it a median value?
14 It's not clear how those area level calculations were
15 used. And much of the information that we used in the
16 1991 report, and in fact in the graphs that you sent
17 in in your RAIs literally takes the result of this
18 calculation.

19 But there is really no description of what
20 - how these data points were combined.

21 MR. GALLAGHER: This would be to determine
22 the average thickness for the -

23 MR. GILLESPIE: Thickness data, yes, and
24 the projection of that thickness data as applicable to
25 the liner.

26 MR. GALLAGHER: Now I thought we had
27 provided a description of that in one of our Q&As.
28 Ahmed or Pete, do you guys recall that?

29 MR. OUAOU: My name is Ahmed Ouacou. I'm
30 with Exelon Oyster Creek.

31 We did - this question came up, we did
32 provide response to the question, what type of
33 statistical analysis did you do.

1 It's also in the RAI, and it's part of the
2 - that's why we submit that report.

3 MR. GILLESPIE: So is there anything beyond
4 that that we provided?

5 MR. OUAOU: Well, my main question is,
6 have you used that particular report? Or you use
7 something different?

8 MR. TAMBURRO: My name is Pete Tamburro.
9 The attachment one to that letter, is there a document
10 number.

11 MR. ASHAR: Yeah, I think you sent to me.
12 It came to us.

13 MR. GALLAGHER: This is in your
14 application.

15 MR. OUAOU: Again, this is Ahmed. We just
16 don't recall what Attachment 1-A is. And what that
17 is.

18 MR. ASHAR: I think title is statistical
19 inference.

20 MR. GALLAGHER: That calculation was
21 submitted previously. It's part of the original
22 approach that was developed to calculate the average
23 thickness in thinned areas, submitted back in 1991.

24 But that's the calculation we use, and
25 Pete can talk about that.

26 MR. TAMBURRO: This is Pete Tamburro.
27 The words that you reference about no
28 claims made by the author, that sounds like a
29 technical data report which describes methodology.
30 It's not intended to be a calculation.

31 So I think we owe it to you to go do the
32 research and see what the intent of that report was.
33 I believe we later did calculations which normally

1 treated the data.

2 MR. ASHAR: This is what we would like to
3 know, that is the question, basically.

4 MR. GALLAGHER: So specifically about that
5 report, how we arrive at our statistical analysis.

6 MR. ASHAR: And what actually you used.

7 MR. GALLAGHER: And what we used, okay.
8 And I just want to make sure, because I think we
9 provided a lot of that. So I want to make sure we
10 don't just provide the same information, and we're
11 missing something.

12 So if it's just that we can make sure we
13 sharpen our response .

14 MR. GILLESPIE: Yes, we're trying to be
15 very - this is really a very incremental meeting.
16 We're really trying to deal with the piece that we
17 don't feel that we have.

18 And right now if this is the grid, and you
19 take a six by six measurement -

20 MR. ASHAR: There's 49 probes in it.

21 MR. GILLESPIE: There's 49 probes. I
22 think, Hans, a fundamental question was, but you come
23 up with a single point that is than used in the next
24 level of calculation. We're not pushing the next
25 level of calculation; what we're doing is saying, how
26 was that point come up with? Was it a 95 percent?
27 There's a number of ways that are actually all valid
28 to do it. Was it the median of the 49 measurements?
29 Was it a 95 percent confidence level? How were those
30 49 points combined to get to the one point which was
31 than used at the next calculational level.

32 And by the way if there is anything that
33 you want to actually respond to in writing like, we

1 really didn't understand that. We think we answered
2 it in response this, this and this, following this
3 meeting, feel free to send us that.

4 MR. GALLAGHER: Okay.

5 MR. GILLESPIE: That's quite - because what
6 I really want to do is, this is a starting point, to
7 get clarity in every one of these details. Because I
8 think we are down in the details. I will fully
9 concede we are really fine tuning it.

10 MR. GALLAGHER: And that's what I was
11 getting at in how that 49 point array, how the
12 statistical analysis is done. I think we've provided
13 that answer. We can look at it.

14 And then about the disclaimer, we can
15 specifically talk about that. Because I think like
16 Pete said, the intent on that was, the data was taken
17 in the field, and that was validated. And that data
18 was used in this analysis.

19 And it's just saying, we didn't take the
20 data. All we did was do a statistical analysis.

21 MR. GILLESPIE: So just make it clear on
22 how that report was used, and then we're kind of okay
23 there.

24 And if you write us a letter and it says,
25 in reply, in reply RAI this, we think we've answered
26 this specific question, that would allow us to reply
27 back, no, here's the specifics of what is missing in
28 that. And that's a perfectly - I mean that's all part
29 of the process.

30 Believe me, you flooded us with so much
31 information, could we have missed something? Yes.
32 And that's okay.

33 MR. GALLAGHER: We wouldn't have talked

1 about that disclaimer.

2 Pete, did you have something?

3 MR. TAMBURRO: Yes, I just wanted to make
4 sure I understood a point you made. You would like a
5 description of how we started with the 49 points and
6 came up with a representative value for those 49
7 points?

8 MR. GILLESPIE: I believe that's the point
9 that Hans and I - Hans, why don't you.

10 MR. ASHAR: Let me explain.

11 I think some of the readings that you have
12 taken are based on the grid. Some of the measurements
13 you might have taken isolated away from the grid, or
14 may not have used the grid. I'm not sure what was
15 done where.

16 But that doesn't matter. The important
17 thing is how you really used this data in coming out
18 with the final thicknesses at those points, that is
19 important.

20 MR. GALLAGHER: For the grids.

21 MR. ASHAR: For the grids, yes.

22 MR. GILLESPIE: So what we're seeing is a
23 layering in this calculational process, where you
24 start with raw data and then you do one thing to that,
25 and then you do the next thing.

26 And we're down at the real fine tuned
27 question here at the bottom. And it's that detail
28 that we're not sure that we have.

29 Now it might have been submitted in 1990;
30 I give you that. Could you repackage it and get it
31 back to us?

32 It may be easier for you to do that than
33 for us to do it again.

1 MR. ASHAR: I might say that you might have
2 even provided some description as a result of the
3 audit.

4 MR. GALLAGHER: Yes, that's what I was just
5 referring to.

6 MR. ASHAR: I understand. I did not have
7 a chance to see everything that they have acquired and
8 have responded to.

9 MR. GALLAGHER: Oh, okay.

10 MR. ASHAR: Not all. I am aware of it,
11 most of them, the basic things. But I did not see
12 anything related to this one. But if it is there,
13 just give an answer.

14 MR. GALLAGHER: That would be helpful,
15 because we can pinpoint it, and then we can go from
16 there.

17 MR. ASHAR: But to me, it looked like at
18 least in 1990 it appears that this particular report
19 was used, and to what extent it was used is not quite
20 clear. How does it relate to what you did, and
21 responded to as a part of the AMP questions, I don't
22 know.

23 MR. GALLAGHER: Right, okay.

24 Now, Pete, Ahmed, you guys okay with
25 understanding that, Howie?

26 MR. OUAOU: I understand the question.
27 This is Ahmed again with Exelon. Part of that
28 response was provided in the RAI and in the questions.
29 So we'll go back and take a look specifically and look
30 at that concern.

31 But we're not providing a response to you.

32 MR. GILLESPIE: No, no, again, it's
33 perfectly acceptable for you to say, go back, go back

1 to New Jersey and say, you know what, we understand
2 your concern, and we think we addressed this is in
3 these RAIs, and the RAIs we have completed reviewed,
4 in fact with multiple people. And if it makes sense
5 that we're looking at how these 49 points - and there
6 may be points that weren't grid points, that weren't
7 49 points, that were individual measurements, or maybe
8 smaller samples. It's not clear that they were all
9 uniformly 49 points, they were all uniform grids.
10 That level of detail was not necessarily seen.

11 And I will say that we are trying to get
12 you this information as we're putting our draft SE
13 together so we can get these issues closed out.

14 MR. OUAOU: Again, this is Ahmed again,
15 the reason I was kind of, I guess, thinking a little
16 bit, it's such a straightforward question, we can
17 answer that today.

18 MR. GILLESPIE: Again, my promise was, we
19 have a second meeting scheduled, and we'd really like
20 to get it in writing before that meeting so we can
21 have a substantive meeting.

22 It was important for me, because of the
23 detailed nature of our concerns, to get them to you
24 and make sure you understood them. And I didn't say
25 they were hard to answer. So just because we have a
26 concern doesn't mean it's difficult to answer. What
27 we wanted to do was get this kind of detail to you so
28 you could answer it, and that was the important
29 aspect.

30 MR. GALLAGHER: I think we understand
31 that.

32 USE OF ASME CODE SECTION 3 SECTION NE-3213.10 FOR
33 LOCALIZED CORROSION AREAS

1 MR. GILLESPIE: The next point was use of
2 ASME Code Section III, Section NE-3213.10 - now you
3 know why I say we'll publish the meeting minutes to
4 this early - was used for localized corrosion areas.

5 And this is a comment that is also going to come up
6 later.

7 And by the way, this is all dealing with
8 the 1991 GE report. So it's not that you used it;
9 it's that it was used in the 1991 GE report. In
10 general that code was written for and applicable to
11 new containment shells. And the methodology for the
12 buckling calculation, it's not clear its applicability
13 to a shell that's actually older and has corrosion.

14 And I'm going to get Hans to amplify that,
15 but in my simplistic terms - I get to be the non-
16 engineering interpreter, and he gets to put the
17 details on it. - if things corrode in a manner that's
18 pitting or discontinuous, and you have a shape that is
19 much different than the discontinuity from two
20 different sized plates.

21 And so this code was specifically
22 developed for one purpose. That doesn't mean it's
23 wrong to use it for this purpose; what it means is,
24 the transition to using it for this purpose wasn't
25 included in the 1991 GE report.

26 Now with that I'm going to turn it over to
27 Hans.

28 MR. ASHAR: Let me just narrate the way I
29 formulated the question.

30 For the localized thin areas, the
31 applicant is using the provision of Section 3213.10 of
32 the subsection NE of Section III of the ASME Code.
33 This provision, though not directly applicable to the

1 randomly thin areas caused by corrosion, if used with
2 care and adequate conservatism, may provide some idea
3 about the primary stress levels at the junction of the
4 thin and thick areas. The applicant is requested to
5 provide a summary of the process used and to address
6 this issue.

7 MR. GALLAGHER: In this particular
8 analysis, I note that that particular question was
9 looked at earlier when the analysis was originally
10 reviewed and approved.

11 And I think, did we have discussion about
12 that in the Q&As?

13 MR. OUAOU: This is Ahmed Ouaou again with
14 Exelon. There was a discussion in the Q&As on the
15 issue - on the concern. We spent a lot of time with
16 the audit team talking about the calculation in
17 particular, and it was reviewed by the audit team.

18 This same question that you have a concern
19 was asked - again, I have to go back a little bit,
20 because I spent a lot of time looking at the history
21 on this - the same exact question came back in '91,
22 and we - there was a formal report that was generated
23 and submitted to address the question. It was done by
24 Teledyne; it's not the GE report. It's in response to
25 an RAI.

26 Our understanding is that after review of
27 the calculation at the site that it appeared the
28 approach was reasonable that it should not be a
29 concern from a stress concentration perspective.

30 MR. GALLAGHER: And this review was done
31 when the 1991 account was generated?

32 MR. OUAOU: That's correct.

33 MR. GALLAGHER: So what we were looking at,

1 we didn't see how there was any aging management
2 related effect on the differences between the way it
3 was evaluated before and when it was evaluated now.

4 MR. ASHAR: Let me again restate.

5 The question is, this particular provision
6 in the ASME code is not written for the localized
7 corroded areas. It has been used here between thin
8 and thicker parts to justify the use of, you know, in
9 a particular way.

10 Now I can see that there is no other way
11 you can do that except to use this type of provisions.
12 But I want to understand what kind of conservatism you
13 have used.

14 Because there are a number of items
15 related to this provision that are in the ASME code.
16 For example, for primary membrane stress there is one
17 particular areas where you go up to the square root of
18 RT; for the secondary stress, you go to the 2.5 square
19 root RT, and figure it out as to, now, I want to make
20 sure that you have considered representation of the
21 thin areas in this particular process.

22 MR. GALLAGHER: I think that's helpful,
23 Hans. Because we didn't identify any other specific
24 method to use, other than use this. And then there
25 were some I guess checks that was done for, like, one
26 thing Frank mentioned was about the plate changes;
27 that was one check. Another check was done as far as
28 a one-by-one depression, a one-by-one-foot depression
29 in the shell; and then another would be a fairly
30 localized 2-1/2 inch depression.

31 So they were kind of checks that said,
32 they didn't look like there was any significant impact
33 on the analysis.

1 The roughness looked like to us it'd be
2 more of a - maybe it related to a fatigue concern,
3 which really isn't an issue for the drywell.

4 So that's why that kind of a review, I
5 think, was done in the 1991 review and analysis, and
6 the staff had accepted that at that point.

7 And I don't think there's any methods
8 that's changed since.

9 MR. ASHAR: This is for the license renewal
10 we are talking about. So I understand that the staff
11 will issue a report based on certain things.

12 But we are looking at this in more depth.
13 And we want to understand the mechanism before we go
14 and say, hey, this is the reasonable assurance that
15 something would happen.

16 So you might see this as duplicative or
17 something, in your mind, but for us that information
18 is necessary to make that reasonableness estimate.

19 So even if you might have done something,
20 you might have responded to this type of question in
21 past, in 1992, 1993, I think we would like you to tell
22 us more about it. If you done it during the audit
23 team, please let us know about it. We can go and
24 check it out in the AMP's responses. There is nothing
25 - but I just want for you to understand that you
26 understand the question.

27 MR. GILLESPIE: Yeah, this is not to say
28 you haven't done it before, and it's part of
29 everything that happened from the mid-'80s through
30 '91. It wasn't reviewed by the staff for the purposes
31 of the current existing license. But this is a
32 question as part of the renewal review.

33 And if we're requesting you to repackage

1 something and send it in as part of this, then that's
2 our request, because we're a second time dealing with
3 what I said was the uncertainties. We're not saying
4 anything negative about the GE calculation. What
5 we're saying is, we have a set of reviews reviewing
6 this for another 20 years on your license beyond, and
7 so this is an aging issue.

8 I mean we met with ACRS on this yesterday.
9 We're not saying you didn't do it 20 years ago. What
10 we're saying is, it's not really readily available to
11 the staff to be able to include it in their more
12 global judgment on the liner today.

13 So if pulling it out of your records and
14 getting the Teledyne report, if that's easy - I didn't
15 say we were asking anything that was hard. I said we
16 were going to try to give you our specific concerns.

17 MR. OUAOU: The Teledyne report was not in
18 QA. But we can provide the Teledyne report and
19 several correspondences to that address the question.

20 MR. GILLESPIE: That would be appreciated.
21 Remember our goal here is to answer the questions.
22 This is a bit collaborative in nature.

23 The other thing I have to ask your
24 forbearance in part of our idea of trying to stay on
25 a certain schedule is that things get done in
26 parallel. And the audit team is in the process of
27 writing a report, and the last I heard they were on
28 page 700. And they have to look at it in an
29 integrative way also. And that is one input to the
30 SE.

31 But that's input eventually to Hans.
32 Because Hans is the guy who on the line has to really
33 make the safety judgment on behalf of the agency.

1 So I'm asking for your assistance. If
2 it's a bit of repackaging, or a resubmittal, this is
3 what's going to get the job done.

4 MR. GALLAGHER: Okay, so if we describe
5 this analysis, and what - how we think it was put
6 together to conservatively address some of these
7 issues, then we could do that and talk about the
8 Teledyne work. And I guess, I want to make sure,
9 Hans, do you have any other methodology that we should
10 be looking at?

11 MR. ASHAR: Well, yes, I think I'd refer to
12 one report which Sandia developed for big area of
13 containments. But I don't know to the extent to this
14 particular aspect, it addresses that area.

15 What it does is, it models certain
16 enclosures and certain degradation in containments of
17 various types. It's a Mark I, Mark II, all
18 containments have been considered in those.

19 MR. GALLAGHER: Okay, that report is
20 available? We hadn't found that report, had we?

21 MR. ASHAR: I know. I'll try to get it.

22 MR. GALLAGHER: Can we get that today?
23 Because that would be real important to us.

24 MR. GILLESPIE: Yes, if we get the ML
25 number, since we're adjourning at lunch.

26 MR. ASHAR: Yes, we'll put it in ADAMS.

27 MR. GALLAGHER: That would be helpful,
28 because we can review that report.

29 MR. GILLESPIE: And it may be as easy as
30 saying, here's what we're done. Here's this other
31 report that's a little newer. And here's why we're
32 consistent with it, and why this makes sense.

33 But that's your judgment to do. We're

1 trying to give you our concern, and Hans is trying to
2 give you at least one reference that's available to
3 kind of the NRC sponsor which is kind of a benchmark.

4 And again, we're dealing with the
5 uncertainty of the information at a very fine level,
6 so.

7 MR. OUAOU: Again, this is Ahmed Ouaou.
8 I just want to ask a question.

9 Do I understand you to say that that
10 report, the Sandia report, has a benchmark we should
11 be measuring against?

12 MR. ASHAR: I don't think so. The reason
13 I don't recommend that is because it is meant only for
14 internal reference.

15 MR. OUAOU: This is information?

16 MR. ASHAR: To the extent you can use it.
17 It is not something that is endorsed for use for
18 anybody.

19 MR. OUAOU: Do you know of any other
20 methodology that would take surface corrosion areas
21 that you're concerned with?

22 MR. ASHAR: No, I'm not aware of any.

23 MR. OUAOU: You're not aware of any?
24 Okay, thank you.

25 MR. GALLAGHER: And we had looked at it,
26 that stress ride issue looked like it was more of a
27 fatigue issue, and the containment fatigue really
28 isn't a concern.

29 MR. ASHAR: Well, containment for the ease
30 of concern in the area of events, right.

31 MR. GALLAGHER: Right.

32 MR. ASHAR: But away from there, you don't
33 have that concern.

1 MR. GALLAGHER: That's correct.

2 MR. GILLESPIE: But again, this is not
3 saying you don't have the information on site. It's
4 only saying we don't have it in a form which we can
5 identify that it specifically addresses this question.

6 And so if you can help put that
7 information in a form that specifically addresses the
8 question - this is why I didn't want to get - this is
9 why I said, let's have a meeting, versus writing RAIs
10 where we didn't - have a total misinterpretation of
11 the RAIs.

12 MR. GALLAGHER: Yes, right.

13 MR. GILLESPIE: So again if you get back to
14 the site, and you want to email us, because emails are
15 on the record, and we try to keep everything on the
16 record, to get further amplification, that's
17 perfectly. And you know if you have thoughts when you
18 go back, just say - you know.

19 MR. GALLAGHER: Okay, that's helpful, thank
20 you.

21 MR. GILLESPIE: We finished with - this was
22 really the assumptions in the 1991 GE report section.
23 And so there were really two bullets that we had in
24 summary. And that was, the first was the
25 uncertainties in ultrasonic testing results, and this
26 was the grid thing we talked about, and then the next
27 one.

28 And the first one was just for you to know
29 that we're going to do something of an independent
30 nature to verify the calculation. And that's not an
31 action on you, that's an action on us.

32 VALIDATION OF UT MEASUREMENTS AND BUCKLING ANALYSIS

33 The next major topic - and major doesn't

1 mean important; major just means it's the next heading
2 on my notes - is validation of UT measurements and
3 buckling analysis.

4 In this I have three principal notes, and
5 let me just go through them. And the first note is,
6 UT results indicating increase in shell thickness.
7 AND there was this, anomalous point.

8 And the anomalous point raises questions
9 that are probably unanswerable. So let me say in
10 retrospect, looking back, the answer to the specific
11 question might be unanswerable going back, but the
12 actions to be taken in the future might be very
13 doable. And that's questions on the accuracy of
14 measurements, the appropriateness of calibration, the
15 one point was significantly above the curve.

16 So with that, let me turn that one over to
17 Hans, so he can go into details of that concern.

18 MR. ASHAR: Okay, I'm going to narrate that
19 again.

20 In the sand pocket region of a drywell
21 shell, the most susceptible base are incorporated into
22 assembly. However, there are a number of issues that
23 need to be addressed to ensure that the readings are
24 taken at the vulnerable locations and techniques used
25 are reliable.

26 I'm talking about the technique right now
27 first, and then I'm going to talk about the other
28 points. That will come with discussion of the other
29 bullets.

30 Review of table two indicates that the UT
31 measurements taken from inside the drywell after 1992
32 shows a general increase in the measurement taken from
33 inside the metal thickness. In some cases it

1 increases as much as 50 mils in a two-year time frame.

2 MR. GALLAGHER: What was that number?

3 MR. ASHAR: Fifty mils.

4 MR. GALLAGHER: Fifteen?

5 MR. ASHAR: Fifty, 5-0.

6 MR. GALLAGHER: Oh, 50.

7 MR. ASHAR: Fifty mils within a time frame
8 of two inspections, 1994 and 1996, I think.

9 In general it appears that the UT
10 measurements taken after 1992 requires proper
11 calibration considering the coatings on both sides of
12 the drywell shell.

13 The applicant is requested to address this
14 issue.

15 MR. GILLESPIE: Now, again, as I said, you
16 can't go back and fix what is.

17 MR. ASHAR: Well, Frank, I don't agree. I
18 think if the tests done outside on an epoxy-coated and
19 galvanized inside, and you've calibrated that, the
20 readings taken earlier can be reduced to this.

21 It's possible to do it too to the existing
22 - but I don't know what you want to do.

23 MR. GILLESPIE: What you're saying is, if
24 they did some calibration samples, that had the proper
25 codings on either side, there may be the data
26 available in their records to go back and -

27 MR. ASHAR: Yes, compare what they have
28 done earlier with or without coatings, you know, that
29 kind of thing.

30 MR. OUAOU: Again, this is Ahmed with
31 Exelon. I was surprised, too, that those points were
32 as high as they are. We expected some variation
33 because of surface roughness, of the shell itself.

1 Although we use a template, and we use a
2 probe. If you just happen to move the probe just a
3 little bit you would get a different reading.

4 But in that particular '92, it appears
5 that one set of readings were consistently higher than
6 the rest. And we spent a lot of time trying to find
7 the cause that caused that, and talked to Rich Morante
8 at the site there during the audit review. And
9 frankly, what they came up with I'm not sure that's
10 satisfactory.

11 We just couldn't. Qualified people were
12 doing the testing, same methodology that was used
13 before. We haven't looked at the potential, because
14 there is a grease where you do UT measurements,
15 potentially, that might not have been removed. We
16 looked at all that, but really couldn't come up with
17 a specific answer why those values were higher.

18 MR. TAMBURRO: Going forward, the potential
19 items that we've looked at, we're going to reduce or
20 eliminate them. For example the grease will be
21 removed prior to the inspections. We will do
22 calibrations, both on the external coating and the
23 internal coating, to get an understanding of how they
24 affect the measurements.

25 So we intend on reducing all those
26 potential variants out of the future inspections.

27 MR. GILLESPIE: The importance of this
28 issue may be one, the narrow technical issue itself.
29 And it's a good response. Didn't really need it, but
30 it was a good response.

31 But it does contribute to the general
32 thought we have which we'll get to later when we talk
33 about some of the commitments you made already on the

1 level of uncertainty. And these things just
2 contribute to the level of uncertainty of the
3 measurement.

4 And I would use - maybe it's not
5 invalidating the measurement, but it's the uncertainty
6 involved with any individual measurement, and the
7 trend.

8 And uncertainty, like I said in the
9 beginning, is kind of what we're trying to reduce or
10 understand through all of these points.

11 And so I think the idea that you can only
12 make these measurements just so certain, and just -
13 let's just keep it - there's only so much you can do
14 with these kind of UT measurements.

15 But this seemed to be a very large
16 uncertainty, in fact much in exceedance of some of the
17 things you've actually measured in other areas.
18 relative to thickness changes.

19 So as long as you understand our concern,
20 this - minimize the contribution of these to
21 uncertainty, and if you can't do anything about the
22 past one, you can't; you did this examination then.

23 But this contributes to some of the
24 thoughts we have relative to the 10-year commitment
25 that we'll talk about later.

26 MR. ASHAR: I feel that you will have to do
27 some kind of a comparative testing in order to, at
28 least for the future readings that you take is going
29 to influence that.

30 If that was the cause, because of a
31 coatings on two sides, this thing we have normal
32 readings that showed more thickness than the other
33 thicknesses, then I think it is something that you

1 ought to look into it and come to grips with it.

2 MR. GALLAGHER: How many points did you
3 have a concern with, Hans, do you remember?

4 MR. ASHAR: Well, I just think in general.
5 Just like Ahmed said before, in general you can see
6 when you look at the readings that they are increasing
7 in 1996 compared to 1994. 1992 and 1994 are almost
8 same; they are not changing too much in general. But
9 there are a few places where it is about 30 mils
10 higher or 50 mils higher, like that, you know.

11 So there's an anomaly here, and that has
12 to be resolved.

13 MR. OUAOU: If I may just add, that we're
14 benchmarking other people doing the UT measurements in
15 the past, but that was before 1996. For instance, GE
16 - GPO brought in GE to do some UT measurements. And
17 I don't believe the methodology has changed in the way
18 we did it.

19 Whatever, we couldn't explain it. We
20 couldn't explain why these particular points were that
21 much different than the previous UT measurements.

22 MR. GILLESPIE: Just keep the word
23 uncertainty in mind, and let's move on. We live with
24 uncertainty; we're not asking for absolutes.

25 The next item is sensitivity studies for
26 localized corroded areas. And I'm going to turn this
27 one over to Hans, because my notes are that we
28 basically have - we've only reviewed the results in
29 the application on these reference sensitivity
30 studies. And that we really weren't provided with an
31 expansion of what was - how was the sensitivity study
32 done, how were uncertainties considered in it; that
33 there's kind of an absence of detail at the next level

1 down.

2 And because we didn't get the detail, I
3 can't give you a specific question on what's missing.
4 So let me ask Hans on that one, because I think he's
5 at the same loss I am on that one.

6 MR. ASHAR: Yes, that is true.

7 I think I did point out about
8 sensitiveness, that they have to be correct enough
9 that we have confidence that the metal thickness is
10 what it's measuring. That is all I can say at this
11 time.

12 MR. GALLAGHER: What sensitivity studies
13 are we talking about?

14 MR. ASHAR: What we are talking about, as
15 I explained earlier, that you take a plate, similar
16 plate, and take the UT measurements outside, without
17 any coatings inside. And then you take the
18 measurements with zinc oxide, whatever coating you
19 have applied inside, and outside epoxy coating, and
20 see - the measurements - and see if there is any - I
21 mean you have to take enough sample to make sure that
22 you have got confidence in what you are doing, even
23 for the tests. This is what we are thinking.

24 It's up to you.

25 MR. OUAOU: This is Ahmed with Exelon.
26 Inside, we don't have a coated -

27 MR. TAMBURRO: No, we have a protective
28 grease. They're supposed to clean off that in the
29 grid area, clean it off and then do the -

30 MR. GILLESPIE: Then I think you're exactly
31 where I think Hans is at, is, there was no evidence in
32 the submission, I think it talked about doing the
33 representativeness, but there was no description that

1 would say, okay, we do it with the grease steam
2 blasted off and we do it actually under conditions
3 that are in containment where they may wipe it down
4 with acetone or something else to get it clean, just
5 to get a handle on the uncertainty involved in the
6 measurement itself.

7 Remember, all the topics we're talking
8 about now are really uncertainties involved in the UT
9 measurements. And we're trying to get an
10 understanding of, how do you think about them, and
11 what have you don't to make sure you have a handle on
12 the uncertainties.

13 And in this case, it wasn't really - the
14 description, you've already said more here than we've
15 had in the application dealing with the uncertainty.
16 We have an organic grease; we clean it off. So what
17 we're looking for is some understanding so Hans can
18 say, you know what, that's a pretty credible way to
19 understand the uncertainty involved with the
20 measurement technique being applied.

21 MR. TAMBURRO: This is Pete Tamburro again.
22 So when you said sensitivity, you're really talking
23 about sensitivity testing of how we do our ultrasonic
24 tests.

25 MR. GILLESPIE: You might say, what you're
26 doing to assure yourselves that you've got a handle
27 that the reading coming out - and I know that every
28 utility has a program that does this kind of
29 qualification thing. It just wasn't described in
30 there. And the sensitivity here is a large component
31 very much of interest, and that information just
32 wasn't there.

33 On the other hand, we didn't ask you for

1 it.

2 MR. GALLAGHER: Okay, thank you.

3 MR. GILLESPIE: So it wasn't your fault it
4 wasn't there; we didn't ask you for it. So we're
5 asking this. That's why we're putting it on the table
6 right now.

7 And again, I think you probably have a
8 program there.

9 MR. OUAOU: No, this was not in the QA.
10 In the QA we said that we're going to take the UT
11 measurements through the epoxy coating on the outside,
12 because it was qualified previously; and we're going
13 to use the most up-to-date techniques to do that.

14 MR. GILLESPIE: What is the most up-to-date
15 techniques for Oyster Creek?

16 MR. GALLAGHER: So we'll give you a
17 description.

18 MR. GILLESPIE: Again, I didn't say any of
19 this was hard; I just said we don't feel we have it.

20 MR. GALLAGHER: Right.

21 USE OF ASME CODE CASE 284-1

22 MR. GILLESPIE: One last one - any
23 questions? One more under UT measurements, that is
24 going to be the use of ASME Code Case 284-1. And I
25 want to temper this a little bit, because there is
26 already a 284-2, as best I've been told, out. Neither
27 one have been endorsed by the NRC, but not being
28 endorsed by the NRC actually does not invalidate them.

29 But it does put a burden on you into
30 having to convince us on the applicability. And these
31 deal with buckling of the shell.

32 And the validation of the underlying
33 assumptions, you can't depend on ASME, because you're

1 using it, and they haven't - we haven't really looked
2 at it on their behalf yet. And that's kind of how I
3 understand the issue.

4 But now I want to turn to Hans for the
5 details on this one.

6 MR. ASHAR: Yes, this Code Case has been
7 within the agency for a number of years now, since it
8 was, the first one was proposed by Dr. Miller, who had
9 done the testing, and committed to all the results.

10 Now we did not endorse it during review of
11 reactors for the buckling analysis, 284-1. We did
12 take a Branch Position during that time. And in
13 addition to what they have done in 284-1, we require
14 them to do more in the bifurcation analysis, and
15 reduce the plasticity index, and those kind of stuff.

16 284+2, which ASME still is struggling
17 with, has a number of changes made in this area, and
18 that is - and with the typographical corrections that
19 they are making right now, put into the equations.
20 Because that makes a lot of difference in the research
21 you have.

22 So I think that looks to be something
23 acceptable you might accept in the future. Until now
24 there is uncertainty regarding the use of 284-1.

25 Now, if it is used only the way I saw it
26 being used is in one particular provision that is
27 quoted in response to the TLAA is that you have
28 assumed that the stresses are uniform along the
29 thickness of the metal.

30 Now in the case of a localized corroded
31 area, that may not be the case. Because when you
32 start from a corroded area to an uncorroded area, you
33 lose metal thickness. But it might have a lower

1 strength than the strength than you go up above at the
2 end of the plate.

3 Okay, if it's conservative, that's fine,
4 use it. But I believe it may not be conservative.
5 Because there will be a decreasing strength as you go
6 near the corroded area. And it might show you as the
7 metal thickness, but the strength may be different.

8 MR. GILLESPIE: Basically you've got that
9 oxide layer on the outside. And we're not saying it's
10 right or wrong. As I said, endorsement or not
11 endorsement doesn't affect the applicability, but it
12 puts the burden on you, because we have not accepted
13 it in this application to give us the explanation of
14 why you still think it remains conservative enough.

15 And this is in addition to the RAI. It's
16 kind of the next level of detail down on that RAI.

17 MR. OUAOU: And again, Ahmed with Exelon,
18 we did, spent a lot of time at the site review on this
19 particular item. And the calculations that were based
20 on 284-1 were reviewed. And the conclusion is that
21 the impact of 284 for what we're using it for is not
22 significant.

23 There are a number of questions that deal
24 with those provided in response to these questions, as
25 well as the previous discussion, back in '91 or
26 whatever, that came up when this was used.

27 But one of the things -

28 MR. GALLAGHER: Just one question I have
29 here, isn't this really the same issue as item two,
30 the '91 GE document.

31 MR. ASHAR: Well, they have different
32 implications. One thing is about the area considered
33 for discontinuity analysis, and one is about the

1 buckling analysis itself. So those are two different
2 aspects there.

3 MR. GILLESPIE: In principle you could say
4 it's ASME code and (garbled) code. In principle and
5 philosophically even. One is dealing with some of the
6 assumptions in the GE calculation, and this one is
7 really dealing -

8 MR. ASHAR: The buckling analysis.

9 MR. GILLESPIE: -- with the buckling
10 analysis.

11 MR. GALLAGHER: The other one was related
12 to the buckling analysis also, right?

13 MR. ASHAR: Well, not necessarily.

14 MR. OUAOU: The difference with 284 is,
15 that's what's actually again the capacity factor.

16 MR. ASHAR: Capacity factor. That is where

17
18 MR. OUAOU: -- factors that you use to:
19 correct your allowable stress to come up with a stress
20 at the end: ...

21 MR. GALLAGHER: So did we provide a
22 description of the use of the Code Case 284?

23 MR. OUAOU: It was not in the RAI; it was
24 in questions. Yes.

25 MR. GILLESPIE: So again, we have two
26 processes going on. And the audit guys are still
27 writing their piece up.

28 But if you feel you've answered it, but
29 you need to understand Hans' specific concern is still
30 lingering in his parallel collection process is the
31 application of this code.

32 And we put this under UT measurement and
33 buckling analysis, because it's how you take the

1 measurement itself, as I understand it, and then
2 incorporate that into the calculation, which is a
3 little different than the translation we talked about
4 in the calculation, the other ASME code piece.

5 What I'm trying to do is, we'll get it on
6 the table here. The audit process is going on in
7 parallel. And if you feel, if you can point to the
8 Q&A that it's answered, and just for convenience,
9 you'll be helping us out, for Hans. We're not trying
10 to make you recreate a whole new report if you've
11 already given us the information.

12 We'll internally check with the audit team
13 on the Q&As on this, but if you want to hold our feet
14 to the fire, because we've already asked it to you,
15 and email it in, that would be appreciated too, and
16 we'll make sure we get the point covered.

17 But you need to know right now in the
18 overall evaluation, this is right now kind of an
19 unanswered issue.

20 MR. ASHAR: The main thing is that in the
21 response that you provided to the TLAA you say you
22 made use of a particular provision 1700, which is -
23 allows you to use it as the same test level throughout
24 the thickness. Now the point that I am trying to
25 make, it may not be true. So there might be a
26 possible distribution of the strength, and you might
27 have a different output from that pint. The analysis
28 is based on this type of assumption.

29 So I want to make sure that you are doing
30 the right thing.

31 MR. GALLAGHER: Is there a different code
32 case or assumption we should be using?

33 MR. ASHAR: No, I think it would be -

1 because this is very specific to the characterization
2 of the various containments. You have to make a
3 certain judgment as to how the strength near the core
4 area would be as compared to away from the core area,
5 and make a - if you have done the average strength
6 analysis, it will not be conservative, and you might
7 have to pull your neutral axis up, and it might change
8 the character of you compressive stresses. That's
9 what I'm thinking about.

10 MR. GILLESPIE: Mike, it's plant specific,
11 and ASME, as I understand it, doesn't really have a
12 lot of code cases that go out to 60 year lives, and
13 deal with longer term corrosion issues, and the
14 specific effects, and how they may modify codes that
15 were actually there for design codes.

16 And so we have to look to you to now
17 explain the application. And we're not saying the
18 application is wrong; we're only saying, you need to
19 explain this piece to us on the application.

20 So we're not telling you to do it
21 different. We're only saying, again, this contributes
22 to the uncertainty of the application of it. And if
23 you've answered this in the RAI database and you can
24 point that out to us, and we'll check internally,
25 that's fine.

26 But this as of this morning is kind of an
27 uncertainty in the engineering case.

28 MR. GALLAGHER: Okay, you guys have any
29 other questions related to that.

30 MR. OUAOU: No, understood.

31 MR. GALLAGHER: Good, because when he
32 starts going into moving the axes on compressive
33 stresses, that's why he has to sit here.

1 MR. GILLESPIE: Okay, next topic, and in
2 fact, the last topic, and again, we're trying to be as
3 fine tuned and as crisp as we can, because if we sent
4 you some general RAI to try to get where I hope we're
5 getting at this meeting, it would not have the
6 specifics that just transpired right here in it, so
7 that we can nail this thing down.

8 ULTRASONIC TESTING ISSUES

9 Ultrasonic testing issues: And now we're
10 shifting not to the technique, and not to the 1981
11 report, but sample size and sample locations.

12 And again, we have - I'm going to say -
13 three areas of clarification that are needed.

14 And this one is junctions between plates
15 of different thicknesses. The generalization that I'm
16 understanding is, the reason for which points are
17 being selected where. And now we're really talking
18 about the upper parts, and the representativeness, bad
19 word, how representative the points you're using are
20 to the whole, which if it was demonstrated 20 years
21 ago, it's not clear that there has been a
22 redemonstration, as we're trying to add yet another 20
23 years on to the license.

24 And so with that, let me turn this one
25 again over to Hans for some detail.

26 MR. ASHAR: I'm going to go through three
27 areas here, okay. The cylindrical portion of the
28 sample size and the spherical portion of the sample
29 size and the sanbed area.

30 The samples taken at this time in the
31 upper portion of the cylindrical portion it is taken
32 I think at one elevation of 87 foot 5 inch. Represent
33 a cylindrical portion of a drywell, and then it is our

1 suggestion at least for the future UT results to add
2 one more elevation for taking the samples, which is
3 71.6 inches.

4 And what the significance of that
5 particular elevation is that is where the lower
6 thickness meets the knuckle (phonetic) area. And the
7 question here is that if the water even in a small
8 conduit is passing through there, it is going to
9 stagnate in the area there, because the ledges form in
10 that area on the upside. And that is where the water
11 is going to accumulate, or it might be absorbed into
12 the insulation itself, wouldn't know what would
13 happen.

14 But that is a sensitive area which could
15 be subject to more corrosion than the straight portion
16 of the cylindrical area.

17 So our suggestion for the future is to
18 have you include that area near the junction of the -
19 to get a confidence that you are good enough, your
20 sample size, enough locations taken.

21 MR. GALLAGHER: So this is elevation 71.6?

22 MR. ASHAR: 71.6, that is the suggestion.
23 You might not have platform there, you might have do
24 something else. So you may change a little bit here
25 and there. But the point is that the dissimilar
26 thickness, wherever you go to the joint between the
27 courses, you know; thickness courses.

28 MR. GALLAGHER: Just where the knuckle is.

29 MR. ASHAR: Just before the knuckle.

30 MR. TAMBURRO: This is Pete Tamburro.

31 So are you asking to take a representative
32 sample of one plate, and then the weld, and then
33 another plate?

1 MR. ASHAR: Yeah, I think if you use the
2 6X6 grate in the grated area you can cover the whole,
3 including weld and everything, in one grid.

4 MR. GILLESPIE: Remember, the underlying
5 question is, because we're not telling you what to do.
6 What Hans has done is very nicely given you a specific
7 example of where he feels the physical configuration
8 forms an area which could be conducive to higher
9 corrosion rates than potentially your sample that
10 you're taking.

11 So the real question is the
12 representativeness of your current sample as we go
13 forward for even another 20 years. And it's not that
14 we're asking you to do this everytime; what we're
15 asking you to do is reinforce the assertion that your
16 current sample is in fact representative. But we've
17 noted that you haven't been looking at this area which
18 by physical configuration could be picked out as maybe
19 a high corrosion area.

20 So it's kind of the validation of what
21 you're doing, and so it - I guess what we're asking
22 is, remove this uncertainty in your sampling process
23 somehow. And the only way we can think to do it is to
24 pick a high corrosion area that's not being sampled
25 and ensure it actually is - continues to be enveloped
26 if you would by the current area.

27 MR. GALLAGHER: And I guess I'm - I mean we
28 actually did some exploratory on the knuckle area,
29 didn't we, Pete?

30 MR. TAMBURO: Yes, we did.

31 MR. GALLAGHER: In the past. So we have -

32 MR. GILLESPIE: Sometimes you only have to
33 document what you did if you did a good job.

1 MR. GALLAGHER: Yeah, this drywell has been
2 very thoroughly looked at over the years. So the
3 chances are, we have that data, and I think we talked
4 about that earlier.

5 MR. ASHAR: Yes, I would have relied on the
6 thousand UTs you have done before. But because of the
7 continuing water -

8 MR. GILLESPIE: Yeah, there's an operating
9 history there that gives us a concern in operations.
10 And again, we're updating - you know, in always
11 sampling a measurement, what you're really trying to
12 do is bring the applicability of that calculation up
13 to date, and that's really -- and the only way to do
14 that sometimes is a positive measurement.

15 And so yes, you might have done it 15
16 years ago, but there's been an operating history and
17 an experience base since then which has affected the
18 environment in that gap.

19 And so it's your option. You can either
20 explain why 15 years ago applies to today, given all
21 of that operating history, or positive knowledge on
22 both of our parts, versus arguing words and pencil
23 notes, well, take a measurement.

24 MR. GALLAGHER: No, I think it's a good
25 idea.

26 MR. GILLESPIE: You know what I mean? It
27 eliminates all the bias, and to a degree the
28 uncertainty, and gives you a new point to project.
29 Because you're asking for a license for an additional
30 20 years.

31 And so we had confidence in that assertion
32 for the remaining portion of your current license,
33 which is 2009, and now we need something a little more

1 to project that past 2009 for an additional half a
2 life.

3 MR. GALLAGHER: Yeah, I think that's a good
4 idea. I just wanted to make sure you knew we'd looked
5 at that.

6 MR. GILLESPIE: I didn't know you had
7 looked at that area, because it wasn't part of the
8 application.

9 But again, you have to understand our
10 concern. It's not just isolated to that area; it's
11 that area combined with operating history subsequent
12 to those measurements being taken.

13 Again, to revalidate the trends,
14 revalidate the calculations. So we're kind of looking
15 at a revalidation process given the operating history.

16 MR. GALLAGHER: Okay, so any other
17 questions on that, guys?

18 MR. ASHAR: A similar request in the area
19 where the thickness of I think .622 missed the 1.548
20 thick area. There is the area likely to be - there is
21 some accumulation of water if anything is going on.
22 Similar to the cylindrical portion. The junction of
23 the thickness change.

24 MR. OUAOU: This is aside that region -

25 MR. ASHAR: No, above the same region.

26 MR. OUAOU: So from 1.154 to .77.

27 MR. ASHAR: Exactly.

28 MR. OUAOU: Okay.

29 MR. GILLESPIE: So the plate above the -

30 MR. OUAOU: Right.

31 MR. GILLESPIE: That joint right there.

32 MR. OUAOU: Yeah.

33 MR. OUAOU: This is Ahmed again. One

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thing I'm not totally sure on yet, I understand the
2 differences in the thicknesses. But typically you
3 grind that so you wouldn't have that. We have to go
4 back to confirm that. So I just wanted to mention,
5 typically you wouldn't leave a discontinuity like that
6 going from one thickness to the other without grinding
7 it.

8 MR. ASHAR: Well, if they use a groove weld
9 to weld those two courses, I think you are going to
10 have a ledge. There won't be a transition there.

11 MR. GILLESPIE: Again, the big question is,
12 the representativeness of the current sampling program
13 for areas that when another engineer looks at it says
14 you could have a ledge there.

15 Again, we are not here to give you the
16 answer; we're giving you our concerns. And there are
17 two ways you can do it, and there are a combination of
18 two ways you can explain it.

19 MR. OUAOU: The only thing I may add is
20 that when the investigative work was going on to come
21 up with the very 1,000 UT measurements to find the
22 thin areas, we didn't stay away - I don't think we
23 stayed away from the areas where we transitioned from
24 one plate to the other, especially when you do that
25 from the outside.

26 You move the template along the elevation
27 to see where you have a corrosion, and you don't
28 specifically say I'm going to exclude this area
29 because it's not -

30 MR. GILLESPIE: Again, that was for the
31 life of the current license. And really what you're
32 asking for in renewal space in your application,
33 fundamentally, is to take that projection and now move

1 it forward now almost 17 years or 20 years to the end
2 of the license, and you're asking the NRC to make
3 another 20-year judgment.

4 We're fundamentally remaking the 20-year
5 judgment we made before. And so it's the same
6 technical issues, are still the same technical issues,
7 and again, it's your choice. But what we're looking
8 for is the least uncertainty on the measurement of
9 making this projection forward 20 years that's also
10 rational. And it's your judgment.

11 So you understand, we still have this
12 uncertainty. We're not negating the finding from
13 1991, but you're asking us to take that and now move
14 it forward, and all Hans is saying is, actually no new
15 positive measure which now we're not arguing
16 calculations or philosophy, there is no new positive
17 measure in this area of potential. We're not saying
18 it is a high area, but there is a potential, normal
19 industry practices grind down welds and make them
20 smooth. We're also not disagreeing with that.

21 But it seems that you need to understand
22 our concern is, in just looking at the physical
23 arrangement, this is an area of potentially higher
24 corrosion, and we're asking why is your current sample
25 set still representative of that area?

26 If the explanation is, we were 1,000
27 percent sure that this was ground down, and that there
28 are no crevices or anything in that grinding that
29 could catch water, that's one way of doing it.

30 There are two approaches to everything.

31 MR. GALLAGHER: And I think what you're
32 saying, Frank, is that some of these areas that helps
33 to narrow the uncertainty. So I think we -

1 MR. GILLESPIE: Remember, we're trying to
2 be as clear as possible to you.

3 MR. ASHAR: In the pocket region of the
4 drywell shell, the most susceptible bays are
5 incorporated in the sampling, the present sampling is
6 fine.

7 However, there are a number of issues that
8 need to be addressed to ensure that readings are taken
9 at whatever locations, and techniques used are
10 reliable.

11 It is not clear if the junction between
12 the 1.154 inch plate and the .676 inch plate, which I
13 think I had explained to Ahmed when I was there in
14 audit on April 28th.

15 That area - we do have a concern in that
16 area. Because you took out the sand from the sand
17 pocket area, before you put the ceiling in the
18 junction between the steel and the concrete, quite a
19 bit of amount of water might have seeped through in
20 those areas, and might have caused corrosion in those
21 areas.

22 And the way we are writing is, we'd prefer
23 that you try to find out some technique to measure the
24 thicknesses in those areas and alleviate any doubt
25 about there is no corrosion. Or if there is
26 corrosion, then you know about it, how much it is. Or
27 justify why this area should not be included in the
28 sand pocket areas.

29 You understand what junction I'm talking
30 about?

31 MR. GILLESPIE: Let me give you a little
32 more amplification on this, because Oyster Creek is
33 not alone on this. We had an ACRS meeting yesterday

1 where this area between the concrete steel concrete
2 sandwich, in there, were addressed.

3 And as best I understand it right now,
4 there really is likely - while we have some research
5 going on in this area, and a research letter from Oak
6 Ridge available, this is not an area where I think -
7 and I think we recognize this - that there is a lot of
8 commercial activity. It's accurately being able to
9 measure through concrete, through steel, and into
10 concrete in that environment, without chipping
11 concrete out, and we have to be, at ACRS, talking to
12 a licensee that actually chipped concrete out
13 yesterday.

14 But some of the discussion went on, with
15 ACRS. And again Hans' second comment was, provide us
16 at least with a rationale that is coherent and makes
17 sense. And some of the points that ACRS raised in
18 challenging the staff on our interim staff guidance,
19 where we had to kind of make a rationale for such
20 aspects of the fact that the inside containment
21 temperature is like 130 degrees. And therefore it's
22 going to drive moisture out. The lack of oxygen in
23 the area.

24 Once it's been sealed, the initial
25 oxidation is going to consume the available free
26 oxygen, and therefore, there is some severe
27 limitations on corrosion.

28 These are the kinds of things we discussed
29 with ACRS in a broad sense of applicability of how
30 we'd see an applicant trying to address the rationale
31 portion of this, if chipping up the concrete was
32 really not rational.

33 That explanation I don't believe was in

1 the RAIs or the application. You have to make it for
2 us. I know what we did as staff to help support our
3 interim staff guidance on why it wasn't more demanding
4 if you would in this area. And these are the kinds of
5 things that were going through our mind. And I want
6 you go away understanding that that's the same thing
7 that was on the record at the ACRS meeting was the
8 kind of rationale the staff had in mind as to why this
9 actually should be. And looking at the chemistry of
10 it, an area of fairly low concern.

11 But you have to tell us why for your plant
12 it's a fairly low concern with your operating
13 history. And so then there's timing elements about
14 when the seal went on, when various leakages might
15 have occurred, when water could have accumulated,
16 groundwater levels, and the ACRS asked about, what
17 about concrete, it's porous, it contains water. Then
18 an ACRS member said, yeah, but there is no oxygen
19 left.

20 So it's that rationale, or advanced
21 measurement techniques that might or might not be
22 available. That's not my area; I don't know. As you
23 know we have an Oakridge report, and I think we've
24 already supplied you with our ADAMS number.

25 MR. ASHAR: ADAMS number.

26 MR. GALLAGHER: Do we have that report?

27 MR. GILLESPIE: But let me be careful, I do
28 have to be rational, we're not asking you to be in
29 advance of the state of the art of applicable
30 commercial techniques, and again, in RAIs I couldn't
31 say that, but we're trying to keep this in context.
32 But we do need a signed understanding from you, in
33 your words, as to why this should be a low susceptible

1 area.

2 And that's your choice on how to do that,
3 and we've supplied you with the one letter report, and
4 since it's a letter report on a NUREG, that tells you
5 right there, it's very advanced information.

6 And so you have to digest the information.
7 Just understand our concern, and the rationale we're
8 looking for.

9 Does that make sense?

10 MR. OUAOU: I understand. This is Ahmed
11 with Exelon. We understand the question.

12 We did not provide all that detail you're
13 talking about in the application. We specifically
14 used a NUREG-1001 as a basis why that area is not
15 susceptible to accelerated corrosion.

16 Basically the idea is, if it's embedded in
17 the concrete, you don't have an adverse environment,
18 chlorides and sulfates, you should not - you know, you
19 have an alkaline environment that is not conducive to
20 corrosion of the shell.

21 And all those items that you mentioned
22 contribute to why that area is not -

23 MR. GALLAGHER: So we did not provide
24 that.

25 MR. OUAOU: We have.

26 MR. GALLAGHER: Where is that, in the
27 application?

28 MR. OUAOU: It's in the application; it's
29 in the questions, Q&A. We did not provide, we did not
30 state that it's totally sealed; the oxygen is limited.
31 We didn't get into that detail.

32 MR. GILLESPIE: Yes, and again we didn't
33 ask for it. Again, we're at a level of detail,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because you did supply us a lot of information in the
2 RAIs, we're really now fine tuning and focusing in on
3 these real specifics.

4 MR. ASHAR: We did mention about the
5 inaccessible areas, and we did provide certain
6 guidance to if the concrete is like this or that.
7 Then you may not have to do much in that area. But
8 Oyster Creek is a little different animal here,
9 because it has a history of contaminated water going
10 into the sanbed area. It might have seeped through in
11 the area with the thinnest part of the steel is there.
12 Though it is bearing on concrete, still, it is very
13 thin. And if it is rusting, there are problems with
14 it, and with the analysis, too.

15 MR. GALLAGHER: And as far as the
16 techniques for looking at this, we had looked into
17 that, and we hadn't really found anything.

18 Did you see anything, Hans?

19 MR. ASHAR: Yeah, in this Oak Ridge report
20 that Frank talked about does have three separate
21 matters came in. Each will have a different
22 applicability. I don't know which is more suitable.
23 I cannot recommend to you that.

24 But there is a potential for use of one of
25 those methods. We requested Research to have Oak
26 Ridge National Laboratory conduct a study. They are
27 state of the art kind of report. They give a contract
28 with three separate independent people to develop some
29 kind of techniques to have the metal thickness results
30 being given when the metal is embedded in concrete on
31 both sides; that was the main purpose of it.

32 So there is some applicable review.

33 MR. GALLAGHER: And we have that Oak Ridge

1 report?

2 MR. OUAOU: We have the - John you have
3 the - yeah, right.

4 MR. GILLESPIE: But again, I really went
5 out of my way to try to keep that in perspective.

6 MR. GALLAGHER: Right, so we'll take a look
7 at it.

8 MR. GILLESPIE: Sometimes people say, the
9 NRC asked me a question, and that's telling them to do
10 something. I'm not. I'm asking, just reevaluate the
11 data, I'm not insisting on people to do the
12 impossible. But it's the rationale and the details
13 underlying it. You didn't give it to us; we didn't
14 ask for it. And that's why we're here saying, this is
15 that little piece that's missing under here.

16 And as we told ACRS yesterday, although we
17 kind of have a generic position, our generic position
18 is really applicable to facilities that have had no
19 history at all of leakage. And then you step off from
20 that, and when we reviewed Brown's Ferry, they were a
21 little different. You were a little different. Your
22 operating histories are slightly different.

23 And so the generic applicability strictly
24 of the new reg what we're saying is, there is some
25 customization you have to do specific to your
26 operating history.

27 MR. GALLAGHER: Okay.

28 MR. GILLESPIE: Ready for the next one?

29 MR. GALLAGHER: Yes.

30 MR. GILLESPIE: Okay.

31 INSPECTION INCREMENTS WITH UT COMMITMENT

32 Sanbed region inspection increments
33 associated with UT commitment in letter dated April

1 4th, 2006, page 3, item two.

2 This - actually I'm going to get your
3 commitment - don't throw it out. It was a good
4 commitment. Let me try to articulate this one.

5 And our thinking is, we're trying to be
6 very consistent with the previous thinking back in the
7 '80s. And also with concepts that we kind of have in
8 the maintenance rule and other things. And the idea
9 is, the intent here is to bring all of this technical
10 information that was developed in the early '90s
11 forward, and essentially revalidate for today.

12 I do understand, in the press clippings,
13 although I don't think you've written it to us, that
14 you were going to do some measurements in 2006.

15 I read that in the paper. But we probably
16 would - it would be beneficial to have that on the
17 record. And I assume that's your commitment actually
18 to do it, that that's the one you're going to do prior
19 to entering the period.

20 MR. GALLAGHER: That's correct.

21 MR. GILLESPIE: Well, I'm making that leap
22 of faith assumption. So the measurement you are going
23 to do prior to entering the period is really the first
24 measurement that's been done since 1996, and there's
25 been a significant amount of history since 1996.

26 And I'm going to simplify this down to my
27 kind of thinking. It takes two points to have a line
28 in order to have a slope. And there's been some
29 operating history between '96 and now that one point
30 validates to some degree I'm going to say current
31 thickness for the last 15 years.

32 But then you're asking in your commitment
33 to jump to not do anything for 10 years, okay. Now

1 I'm going to invoke the concept that we have in the
2 maintenance rule, which is kind of more of an OR gate
3 (phonetic) if you would for any measurement which
4 says, if we do the measurement in '06, and we see some
5 level of degradation which is inconsistent with what
6 you would have predicted, then you're going to do
7 something.

8 Then if I go to the maintenance rule, it
9 says, I'm going to increase my surveillance frequency.

10 And then if you increase your surveillance
11 frequency and see with the second measurement that
12 it's stable, then you decrease your surveillance
13 frequency.

14 What we'd ask is it's - there is no
15 criteria for what happens, what you're going to find
16 in '06. It still leads in our mind to a degree of
17 uncertainty. And we'd like to ask consideration in
18 terms of what's the basis for 10 years? If you say
19 you're going to do something in '06, and if that's
20 part of some criteria, then we're going to do
21 something within four years after that again.

22 Now you are really consistent with our
23 previous judgments from last time, in which you
24 committed to do several I think measurements I think
25 in a row at four-year intervals.

26 But then if you come up with a second
27 measurement, and it's better, then there should be an
28 opportunity to extend it past that.

29 So what we're suggesting is, in our minds,
30 we're looking for some sense of commitment to what
31 happens, what's your criteria if you find something,
32 thinner, thicker. What happens if this measurement
33 comes out like the '96 measurement, and comes out as

1 growing more?

2 Then there is a calibration issue I hope.

3 And so what we're looking for is I'm going
4 to say a bit of a more disciplined reliability
5 approach to the sampling plan maybe as opposed to the
6 rigidity of 10 years.

7 And there's a sense on our part right now
8 that given our current knowledge base, and the
9 uncertainties in operating history, the uncertainties
10 in the '96 measurement itself, which may not be - you
11 might not be able to do anything - it's 10 years ago.
12 I'm just being realistic.

13 The coatings are getting older. Yet you
14 aren't going to do the inspections. We're not
15 questioning your inspection regimes, your commitment,
16 that's very good, to do 100 percent in 30 years of
17 commitments. But it is getting older, so there is
18 these degree of uncertainties that more progressive
19 sampling - the broad RAI: would be, what is the
20 justification for 10 years?

21 Because 10 years is independent of what
22 you find in '06?

23 MR. GALLAGHER: I think one of the things
24 we tried to do, Frank, was, if you look at all those
25 commitments, they're kind of like an integrated
26 package, you know what I mean? Because the agent-
27 management program is an integrated package on that.

28 And I guess what we were trying to say and
29 maybe it didn't come across, we take the readings
30 before the end of the period and we did have some -
31 and our expectation is that the corrosion has been
32 arrested, and has been arrested since 1996. So our
33 expectation is, we would have similar measurements.

1 And then we said, we had the criterion,
2 and I think it was plus or minus 21 mils? And it was
3 ~~based on the uncertainties of measuring and equipment.~~

4 And then if we were outside of that we
5 would notify the NRC within 48 hours. And we made a
6 commitment to that effect. And that we would have
7 specific actions.

8 And those specific actions relate to doing
9 the projection, increase the frequency of the testing,
10 and things like that.

11 We didn't put the decision tree in there,
12 but that's our intent. 

13 MR. GILLESPIE: Okay, and on this aspect -
14 as I said, don't throw out the commitment. The
15 commitment, it was a very good commitment.

16 Our question really is the decision tree,
17 and we've had this same discussion actually with Nine
18 Mile Island on could you give us the acceptance
19 criteria.

20 Because while you can assume that
21 everything will be correct, as the regulator, we
22 cannot assume everything will be correct.

23 And so it's a decision tree that affects
24 inspection frequency. You're reporting to us, all of
25 that was fine. What we're doing is, saying that the
26 specific commitment that says, we're going to do a
27 measurement before we hit the period, and then,
28 really, reading it word for word literal, the next
29 measure is at 10 years.

30 We're absent that decision logic that you
31 have internally that would make perfect sense. And so
32 on the frequency thing, we're asking, could you give
33 us a relook at that in 10 years, and either

1 rationalize why 10 years as an absolute is okay, or
2 provide the commitment of what your decision tree is,
3 relative to frequency of remeasuring versus which
4 goals.

5 Again, you're assuming it won't. And
6 we're regulators, so we have to assume it will. And
7 we need to address both sides.

8 And quite honestly, I think, in the
9 public's view, they need to have a certain assurance
10 that if this becomes a commitment, or whatever, within
11 the license itself as we reissue it, then it becomes
12 real solid, it's inspectable, and what I'm saying it
13 has all the bells and whistles on it that go with the
14 regulatory process.

15 So we'd ask you to relook at the 10-year,
16 and you've just described an internal logic that is
17 not visible to people on the outside who read the
18 literal words of that commitment.

19 So the request is, could you look at the
20 commitment on the 10 years. Because we're reading it
21 like an absolute. Yeah, you report to us, you'll do
22 all those things, but gee, they never said they'd go
23 in and remeasure.

24 MR. HUFNAGEL: Frank, this is John Hufnagel
25 from Exelon. Just a clarification. Because when I
26 was listening to you, I believe you may have said that
27 even if we went in and found essentially the same
28 result with the ultrasound testing, the 10-year
29 frequency may not be enough.

30 So I think what Mike described was if we
31 would go in, we would find some degradation, we would
32 consider corrective actions including things such as
33 more frequent inspections.

1 MR. GILLESPIE: Okay, now we get to the
2 uncertainty issue on that. And that's why I can't
3 give you a specific answer. That's why I said it kind
4 of nebulously.

5 The uncertainty issue is, if you go in and
6 you do the measurements, and let me say you have the
7 same issues that you had in '96 that were kind of
8 inexplicable but why it grew, then 10 years is
9 probably too much.

10 And so what I'm dealing with, and I can't
11 do it for you, I'm dealing with, there is an operating
12 history there. There are these uncertainties that in
13 fact you may be within - if it's an asymmetrical 21
14 mil objective, then you still have the same regulatory
15 question, well, it grew again. They don't have to do
16 anything.

17 MR. GALLAGHER: Right, and we would take
18 corrective action. So I guess maybe related to the
19 question John just asked, so I guess the corollary
20 would maybe be, if we were within that plus or minus
21 21 mils, is 10 years okay?

22 MR. GILLESPIE: There is no absolute on 10
23 years. Okay? That was what was in your application.
24 There is an uncertainty connected with these
25 measurements. There is a specific uncertainty
26 demonstrated in measurements at Oyster Creek
27 specifically over time.

28 If you really are trying to bring that
29 forward, you have to make the judgment, is once at the
30 beginning of the period, and doing a second one at
31 four years, and then not doing any more for 16 years,
32 is the right answer.

33 Because remember, what you're trying to do

1 is take this calculation and all this body of
2 information from the '80s and '90s and reapply it to
3 a new 20-year period. And if you're going to do two
4 measurements, should that second commitment for all of
5 these questions actually be way out there at 10 years?
6 Or if you're going to do two measurements anyway,
7 should it be at four years or six years? Because
8 that's giving us assurance on the projection of all
9 this body of data forward.


10 And by the 10th year it's not really
11 contributing to the projection doing forward.

12 And now I'm going to make a leap of faith
13 to a new topic -

14 MR. GALLAGHER: Before you go there, Frank?

15 MR. GILLESPIE: It'll make sense though if
16 you let me do it.

17 MR. GALLAGHER: All right.

18 MR. GILLESPIE: Because it'll make sense to
19 why I just said what I'm saying. In the interim staff
20 guidance there is an event aspect to it, which says,
21 if you ever see water, you have to go do a
22 measurement. 

23 And so it's not mutually exclusive. And
24 so if you're committed to two measurements on a
25 frequency that allows us to translate this body of
26 information forward for most of the period, we would
27 still ask you, you have not committed to the ISG
28 relative to that event aspect to it, which says, if
29 you see water, you have to measure again.

30 And so I'm saying this measurement thing
31 is kind of an integral case. And if you're really
32 good and you never get a leak again, you've still only
33 done two measurements, but you're adding to the

1 principle of moving the body of knowledge forward.

2 But if you ever see water again, you are
3 committed to a third measurement.

4 And so it's a package. I'm agreeing with
5 you; it's a package. And that's not in the
6 commitment. And it's kind of the event based aspect
7 of that ISG which then says, you need to redo your
8 rate calculation and project it forward if
9 you see moisture.

10 And that's the package I wanted to get
11 out, because it's not like I'm - we've kind of done
12 something thinking on this, and what are we really
13 trying to achieve relative to the staff's approval of
14 your application, and we're trying to approve is that
15 projection forward for the next 20 years.

16 We're not actually trying to specifically
17 find the thin spot at any given year; we're trying to
18 have enough comfort if you would or faith. And it's
19 faith in that calculation we're trying to get, not
20 just a random measurement at a 10-year point of a
21 vessel.

22 So it depends on how you look at - what is
23 your objective of doing those measurements. If the
24 objective is a random point in time, to make everyone
25 feel comfortable with something you've already
26 approved, the first thing is, get the piece already
27 approved.

28 MR. GALLAGHER: We'll definitely look at
29 that, Frank, because again, I think that was our
30 intent, outside this region, we would change the
31 frequency.

32 But one thing I just want to clarify
33 because even sometimes we fall into this trap, and we

1 talk about the individual components of the aging
2 management program.

3 Like people would say, hey, the last
4 management we took was '96, and that's a long time
5 ago. You know we have the advantage at Oyster Creek
6 where that area is accessible now, because we made
7 these modifications. So we've had eyes on on the
8 coding ever since then, that the coding is put on in
9 '92.

10 So that was our look, ongoing look, to
11 make sure that corrosion was arrested, and was gone.
12 Except so we see that as a real good advantage for us,
13 because we have that area to be accessible.

14 So when you look at the package of UTs and
15 visuals, it's a pretty good one.

16 MR. GILLESPIE: But that's why I just - and
17 Hans, you can jump in, because I might say something
18 wrong here. But you notice coatings wasn't on our
19 list, and you're answer and your commitments in that
20 does reinforce what you just said.

21 So again it reinforces if the codings are
22 being expected reasonably vigorously at one time 100
23 percent, and then it'll go to 30 each outage, that's
24 confirming the underlying assumption that moisture
25 isn't present and therefore corrosion doesn't occur,
26 which makes the usefulness of a 10-year out
27 measurement potentially less useful than one that
28 might be in more like a four-year duration that allows
29 us to do what we did in the '80s, to say, okay, you've
30 got enough information to project this forward, and
31 now depend on your commitment on the coatings
32 examination.

33 And so at least and I'm going to ask Hans,

1 because I - and so there is a thought process there
2 that is different than just picking 10 years because
3 it's in the middle.

4 Hans.

5 MR. ASHAR: Yeah, I think programmatically,
6 I think the way you have committed to coating
7 inspections, if during the inspection of coatings, you
8 see seepage of water that you have seen earlier in
9 2004, 2006 time frames, then there is always a
10 question as to what is going on.

11 And that's why what Frank is trying to
12 explain is that you've got to have a program based on
13 what you find rather than straightforward to 10 years.

14 And I think Frank did describe it very
15 vividly, but I'm trying to simplify it. That's what
16 we are looking at here. Programmatically.

17 MR. GALLAGHER: And I think that was our
18 intent, but we can clarify that.

19 MR. GILLESPIE: So the summary is, could
20 you relook at the purpose of the 10 years, and is the
21 10 years really serving the purpose of bringing this
22 data point forward so that we can make the same
23 decision now for the next 20 years we made before for
24 the last 20 years.

25 MR. GALLAGHER: You guys have some
26 questions?

27 MR. OUAOU: Well, the only thing I really
28 want to add - this is Ahmed with Exelon - is the UT
29 measurements we're using in the sanbed region is to
30 confirm that in fact corrosion is not undergone, which
31 is stated, it's arrested.

32 But you've got to remember, on a forty-
33 year basis, we're still doing UT measurements on the

1 upper region of the drywell, which is not coated, and
2 it really should bound the other areas.

3 MR. GILLESPIE: Again, you're making my
4 case why 10 years may be a random point that is just
5 out there that was picked because it's in the middle,
6 as opposed to being a point that in a real early part
7 of a period contributes to reinforcing the fact that
8 the body of knowledge in the inspection techniques for
9 both how you apply that corrosion rate you're finding
10 at the top which is uncoated, and how you look at the
11 coatings, is doing.

12 All the reasons you're giving me are
13 reasons why you want to reinforce your technical bases
14 early as opposed to late. That's all I'm saying. I'm
15 just asking you to think about it.

16 MR. OUAOU: The only thing I want to point
17 out is, the basis for the 10 years we used for was
18 certainly not random. It's based on the ISI interval.

19 MR. GILLESPIE: Okay, the ISI period is
20 also 10 years.

21 MR. OUAOU: That was the basis for it.

22 MR. GILLESPIE: We've actually had some
23 discussions with people that the whole ASME code
24 issue, which is not yours, is given us great pain in
25 aging management as you know with relief, because the
26 code is written to cycles, et cetera, et cetera, that
27 are really based on a 40-year life.

28 And so we're, again, that may be the code,
29 but that is not - I'm trying to say, it could be a
30 technical rationale, other than it's convenient with
31 the code for doing it. And because of your answer and
32 commitments in the coatings, because of the
33 reinforcing measurements at the top in the uncoated

1 areas, we're looking for as much definitive
2 information early in the period that there will be
3 success during the period as we can, relative to
4 projections.

5 And again, the kicker in here is, we'd be
6 looking at the event part of the ISG which then
7 applies to future - because you got a 16-year period
8 I just suggested in there. But the ISG would say,
9 if water shows up, you're doing UTs again. I mean
10 that's what the ISG says.

11 But if you're real good and you never have
12 a leak, because of the inspections and the projections
13 and that, and then the validity of your projections
14 are doubly reinforced early in the period.

15 So I'm asking you to look at the rationale
16 for the 10 years, and what I'm suggesting is, in light
17 of how we thought about the maintenance rule when we
18 were writing that, and what we were doing and what was
19 happening in the maintenance area; I'm applying those
20 same principles.

21 Remove the uncertainty early, and that
22 allows you to have a justification and a rationale for
23 the extension, and why a more minimal surveillance
24 program is unsatisfactory.

25 MR. GALLAGHER: And Frank, do you have any
26 thought in mind for what an early interval would be?

27 MR. GILLESPIE: No. If you can rationalize
28 10 years as being early in providing the moving
29 forward into the entire period of that -

30 MR. ASHAR: We'll look at it.

31 MR. GILLESPIE: -- we'll look at it. But
32 the uncertainties involved - and I will admit, this is
33 - there is some subjectivity to this. I mean this is

1 not an algorithm that we can put into a spreadsheet
2 and do a calculation on.

3 But there are a number of uncertainties,
4 the residual ones we went over today, which we're
5 looking for clarity in. And I think what you as an
6 applicant are trying to do is reduce or minimize those
7 uncertainties to the degree possible for the maximum
8 period of operation.

9 And what we're suggesting is, 10 years
10 leaves a great deal of uncertainty in our minds
11 relative to the sample selections, and projecting this
12 vast body of data and this calculation forward.

13 Again, we're dealing with taking a vast
14 amount of information which was reviewed now almost
15 15, 16 years ago, it was probably developed close to
16 18 years ago, and bringing that forward for a new 20-
17 year period.

18 And yes, that was satisfactory for the
19 last 20 years of the license, but now we're making a
20 new finding that it's satisfactory for yet even
21 another 20 years.

22 MR. GALLAGHER: Okay, I think we understand
23 it. Okay.

24 MR. GILLESPIE: With that, I've got one
25 other issue, and this - to close out containment, and
26 to let people know that what we've talked about here
27 is only a small piece of the whole.

28 And this has no action for you. But
29 actually in looking at the whole thing, we were really
30 trying to look holistically as a staff at the entire
31 containment structure. And we did note that your last
32 appendix J integrated leak rate test was in 2000,
33 which means your next one is due in 2010, which is

1 really close to the beginning of the period.

2 And while that is not a design test, there
3 are other things going on as part of our body of rules
4 that do affect the integral look that we take at
5 things like the containment shell.

6 And so I didn't want people to think that
7 we only looked at what we talked about at this
8 meeting, which I'm hoping was very focused and quite
9 narrow to our residual concerns.

10 But that we do see that kind of under the
11 rules you have to pick a date, 2008 or 2010 plus or
12 minus a year under 10 years, and that's probably
13 either one within six months of the renewal period.

14 So there are other things going on to give
15 us increased assurance of the operability of the
16 shell. And because this isn't just a meeting between
17 you and us, I want people - and this is an example of
18 other things that we're considering. So we're not
19 just narrow people. We're not just looking at the 10
20 years and asking about that. We actually found some
21 really satisfactory things, and just in compliance
22 with the regular body of rules that was going on.

23 And with that, I'm down to my topic called
24 general discussion, but I'm about worn out.

25 GENERAL DISCUSSION

26 I would ask you and then I'll ask - or
27 perhaps I should ask Hans if he has anything else he
28 would like?

29 MR. ASHAR: No, I don't think I have
30 anything more than what you described, no.

31 MR. GILLESPIE: I would like to ask you as
32 an applicant - I mean we're trying to be real crisp
33 here, because we want to get on with the job.

1 MR. GALLAGHER: John, do you think we have
2 succinctly what the issues are we need to respond back
3 on would be?

4 MR. HUFNAGEL: I have a lot of notes, Mike.
5 It would take me more than a couple of minutes to go
6 through these notes. So I'm not sure I can go and
7 summarize all that right now. But I think between us
8 I'm sure we have enough notes and understanding.

9 MR. GILLESPIE: And we're going to do our
10 best, by the way, John, to get what Hans was reading.
11 We went through a lot of effort to try to really
12 narrow this down. But we do have the audit process
13 you know kind of going on in parallel. And we'll try
14 to get these meeting notes out in a timely way for us,
15 and timely for us, given our secretarial situation,
16 can be long.

17 But in this case we're going to push this
18 to kind of the front of the list, and try to maybe -
19 I need to get these notes out in a public forum.

20 And again, if there is a follow on email
21 needed to clarify the issue, that's fine.

22 The other question that came up, because
23 normally we would have probably followed this meeting
24 with a formal set of RAIs. When I saw what Hans had
25 written in coordination with the bullets we wanted to
26 covered, the RAIs are really embedded in his detailed
27 words. And these, I think, are more - are better
28 words than we generally send in kind of our
29 whitewashed versions of RAIs that require phone calls
30 for clarity on.

31 So we will try to get the meeting notice,
32 the meeting minutes out, with basically Hans' comments
33 and the bullets, as quickly as possible.

1 Now, if we do that, then my intention
2 would be not to issue a separate document of RAIs in
3 prep for your opportunity to come back and talk to us.

4 And the other thing is, we'd like to ask
5 that you send something in in writing before that
6 meeting so that we can really be kind of at the end of
7 the road at that meeting. And the question I have of
8 you is, when we were setting this up, we scheduled it
9 so we could talk to you, and scheduled the next
10 meeting so you could talk to us. But that is actually
11 your option.

12 If we don't need a meeting, and you'd
13 rather answer these in writing, I would just ask that
14 you get back to us in a timely enough way so that we
15 can cancel the meeting at least a week before.

16 And it's really your option, but we were
17 trying to set this whole thing up to make sure that we
18 had all the vehicles for communications. And since
19 we have a 10-day noticing period for public meetings,
20 and it takes a couple of extra days - it really takes
21 about 15 days to do it - then we had to in a positive
22 way set up both meetings at once just to have a
23 process put in place.

24 But it's your application and it's your
25 answers and it's your choice. So right now we do have
26 it scheduled. Donnie was going to put a notice out,
27 but I would ask for the other people in the public who
28 might want to participate, a timely notification of
29 them is an obligation we have.

30 And so let me leave that to you and not
31 even ask you to answer that question today. But you
32 can get back to us on how you want to do th at.

33 MR. GALLAGHER: I think what we're going to

1 do, Frank, is we'll meet and go over what issues we
2 think we have. Maybe John and Donnie can communicate
3 to ensure that these are the things we're going to be
4 providing in a written format, and we would want to
5 get that to you a few days before the 22nd, and
6 whether we meet or not, we can determine that at a
7 later date. And talk with Donnie about that.

8 MR. GILLESPIE: I'll leave that to Donnie
9 and John, then,

10 MR. GALLAGHER: And then so that would be
11 our - the things that we talked about providing, we
12 would provide that in writing; that's what you're
13 looking for.

14 MR. GILLESPIE: Hans and I are going to try
15 to get everything that we have in writing out as part
16 of the meeting minutes with Donnie. I think it's
17 going to be a more fruitful meeting if everyone, all
18 the participants, has it in black and white. And then
19 you leave that with either a markup or a nonmarkup,
20 and everyone knows where we stand on these issues.
21 Because I think we've really narrowed some things down
22 here.

23 MR. GALLAGHER: That's what I was going to
24 say. Like the issues, like the thank you for getting
25 clear with us on what these issues are. Because I
26 think they are very pinpointed, and I think that will
27 help us really see what information you need to close
28 the issues.

29 Like you said, we provided a ton of
30 information, and we have it down to just a handful
31 right now to really get you just the information you
32 need.

33 MR. GILLESPIE: By the way, we're not

1 looking for another ton. We're really trying to see -
2 if these answers end up coming in 57 pages long, then
3 we've miscommunicated what we think our residual
4 concern.

5 MR. GALLAGHER: Okay.

6 MR. GILLESPIE: So really, as you're doing
7 it, keep it in perspective. And if that requires
8 calling Donnie, say, you know what, Frank said he
9 didn't expect the Encyclopedia Britannica for every
10 question. We think these concerns are very focused.

11 MR. GALLAGHER: Right, right.

12 MR. ASHLEY: In addition - this is Donnie
13 Ashley - in addition, John, to your notes and the rest
14 of our notes, we're going to try to get a quick
15 turnaround on the transcript so that you can have that
16 available to you as well. And we'll have that in
17 ADAMS just as quickly as we can.

18 MR. GILLESPIE: Final part of this meeting
19 I'll turn over to Donnie, and that's I believe
20 requests from any members of the public, or anyone
21 else, to ask questions -

22 MR. GALLAGHER: Wait, Frank, did you have
23 a question?

24 MR. HUFNAGEL: Just a brief, if I may -
25 John Hufnagel here - just a brief comment that it goes
26 without saying, but I'll be working with Donnie to try
27 to coordinate the next three weeks such that as he's
28 working on pulling together the notes from this
29 meeting, and we're working on providing the
30 information as we understand it, that there will
31 hopefully be a brief period where we can check what
32 we've done against the meeting notes prior to us
33 sending it in.

1 So we'll obviously need to coordinate to
2 do that.

3 MR. GILLESPIE: That's why we're going to
4 do everything we can to get these notes out pretty
5 quickly for everybody whose participated in listening
6 in on the meeting.

7 MR. HUFNAGEL: Thank you.

8 MR. GALLAGHER: Thanks.

9 MR. GILLESPIE: And Donnie, now I think
10 it's time to ask -

11 MR. ASHLEY: I would like to continue on
12 because we only have the phone for a short period of
13 time, and I don't want to lose the people that are on
14 the bridge.

15 Can I go ahead, Frank?

16 MR. GILLESPIE: Go ahead.

17 MR. ASHLEY: We've got a little bit of
18 housekeeping for the purposes of the transcript that
19 I need to take care of. I need to verify the spelling
20 of your names for the people who are on the telephone
21 bridge. And in particular order, Ron Zak with the New
22 Jersey DEP, would you spell your name for me, please?

23 MR. ZAK: Z-a-k.

24 MR. ASHLEY: Tom Quintenz from Oyster
25 Creek?

26 MR. QUINTENZ: Q-u-i-n-t-e-n-z.

27 MR. ASHLEY: Thank you.

28 Nick Clunn with the Astbury Park Press,
29 would you spell your name please for the reporter?

30 MR. CLUNN: C-l-u-n-n.

31 MR. ASHLEY: Thank you.

32 Mr. Webster?

33 MR. WEBSTER: Richard, R-i-c-h-a-r-d

1 Webster W-e-b-s-t-e-r.
2 MR. ASHLEY: And your organization, sir?
3 MR. WEBSTER: Directors Environmental Law.
4 MR. ASHLEY: Thank you.
5 Mr. Brown, Jeff Brown?
6 MR. BROWN: B-r-o-w-n.
7 MR. ASHLEY: And your organization, Mr.
8 Brown?
9 MR. BROWN: Is G-r-a-m-m-e-n.
10 MR. ASHLEY: Thank you.
11 Ms. Gotsch?
12 MS. GOTSCH: G-o-t-s-c-h, same
13 organization.
14 MR. ASHLEY: Thank you.
15 Mr. Atherton?
16 MR. ATHERTON: A-t-h-e-r-t-o-n.
17 MR. ASHLEY: And you represent?
18 MR. ATHERTON: I'm working with Jersey
19 Shore Nuclear Watch.
20 MR. ASHLEY: Thank you, sir.
21 Ms. Gbur.
22 MS. GBUR: G-b-u-r, Jersey Shore Nuclear
23 Watch.
24 MR. ASHLEY: Thank you.
25 Mr. Warren?
26 MR. WARREN: W-a-r-r-e-n, and I'm also with
27 Jersey Shore Nuclear Watch.
28 MR. ASHLEY: Thank you very much.
29 Is there anyone that came on the line that
30 I didn't mention your name?
31 MR. LAIRD: Name is Jim L-a-i-r-d, Exelon.
32 MR. ASHLEY: Thank you, Mr. Laird.
33 MR. PINNEY: My name is Richard Pinney. P

1 as in Paul -i-n-n-e-y, New Jersey DED.

2 MR. ASHLEY: Anyone else that we didn't
3 recognize?

4 In the interest of having an opportunity
5 for the people that are on the phone bridge, is there
6 anyone who would like to ask the staff a question, or
7 to make a statement at this time?

8 MR. ATHERTON: My name is Atherton. I have
9 a technical background in technical and nuclear
10 engineering. And the first complaint I have is, half
11 the conversation I heard was inaudible. And I didn't
12 know whether it was bad technology in the electronics
13 that you have for transmitting this, or some other
14 cause. And I did phone the public affairs office to
15 complain about that, and I was hoping you got the
16 message.

17 But toward the end of the conversation you
18 were slightly more audible. So I missed out on a lot.
19 And I do have a couple of questions I'd like to ask or
20 get clarification for. Is that possible?

21 MR. ASHLEY: Go ahead, Mr. Atherton.

22 MR. ATHERTON: I'm going to back up to the
23 specifics concerning the issue of uncertainty and
24 sensitivity analysis and the like.

25 The basic question would be, is there the
26 potential, since I didn't catch all the information
27 that was taking place back and forth, is the potential
28 for harm to the shell or the liner significant enough
29 with the uncertainties involved so that it would be
30 better not to use uncertainty as a sole means of
31 analyzing the situation, but to approach it from the
32 worst case analysis perspective; and if so, why?

33 MR. GILLESPIE: Yeah, this is Frank

1 Gillespie.

2 MR. ATHERTON: You're barely audible. I
3 heard the Frank.

4 MR. GILLESPIE: This is probably because
5 we're using 20-year-old technology for our phone
6 system here.

7 MR. ATHERTON: And how did you spell your
8 last name, sir?

9 MR. GILLESPIE: Gillespie, G-i-l-l-e-s-p-i-
10 e.

11 MR. ATHERTON: Okay.

12 MR. GILLESPIE: The context of this meeting
13 was very incremental, in addition to a lot of
14 information that we've already gotten in the request
15 for additional information.

16 And in some ways, if you - have you read
17 all the additional information that's been sent in to
18 us that's been made available?

19 MR. ATHERTON: Unfortunately I haven't had
20 the opportunity to do that yet. I just received a
21 disk a couple of days ago, and I haven't had the
22 opportunity to go through that yet.

23 The general question concerned, I doubt
24 the information that I'm seeking is going to be on the
25 disk, because I'm questioning whether you should use
26 uncertainty analysis versus worst case analysis.

27 MR. GILLESPIE: Well, to some degree, I
28 think you'll find in the applicant's information, and
29 this is a little beyond the narrow scope of this
30 meeting, but in general, in the applicant's
31 information, there are discussions about measurements
32 taken in the upper portion of this light bulb shell,
33 which is uncoated, which presents a - any application

1 it would make a case, it presents a case that is far
2 less conservative than the bottom section of the shell
3 which is uncoated.

4 And so there are some assumptions on rates
5 where projections are made where exactly what you're
6 saying I think has been taken into consideration.

7 Now what could be up for discussion is
8 different people's view of what worst case is. And
9 you have to go through the material and give me a
10 specific, but it's really kind of a blend of, we
11 basically have an estimate line, and the estimate
12 comes from various data sources that get combined to
13 make the estimate.

14 And we're trying to have the highest
15 possible confidence in the estimate and the calculated
16 projections. And the projections have been made; the
17 measurements have been made. And that's why the focus
18 of a lot of the discussion here was the residual
19 questions on the part of the staff to ensure that we
20 understand the uncertainties involved in that
21 projection.

22 But that projection involves some
23 assumptions on corrosion rates which some people would
24 say in their minds is worst case of the situation in
25 the environment of the facility.

26 So I think both in different viewers,
27 different readers' views, have probably been done, and
28 we're wrestling with that total decision right now.

29 So it's not uncertainty is everything or
30 nothing; it just happens to be our residual concern.

31 (Telephone operator voice interrupts)

32 MR. ASHLEY: Mr. Atherton, are you still
33 with us?

1 MR. GILLESPIE: Anyway, for whoever was
2 listening.

3 MR. ASHLEY: Just a second, Frank? Is
4 anyone still on the line?

5 (Loud telephone noise)

6 MR. ASHLEY: They cut us off.

7 MR. GILLESPIE: We had inadequate safety
8 margin in our bridge.

9 (Technical interruption)

10 MR. ASHLEY: We'll try to pick up Mr.
11 Atherton as he comes back on.

12 Did anyone else have a comment so we can
13 continue on?

14 MR. ATHERTON: Hello.

15 MR. ASHLEY: Yes.

16 MR. ATHERTON: This is Peter Atherton. I
17 don't want what happened. But I suddenly got
18 disconnected during Mr. Gillespie's part.

19 MR. ASHLEY: We did to. We're glad to have
20 you back again.

21 MR. GILLESPIE: Go ahead.

22 MR. ATHERTON: Well, Mr. Gillespie was
23 talking about the use of a version of the worst case
24 analysis for a bottom uncoated part of the containment
25 structure or the shell.

26 MR. GILLESPIE: The bottom part -

27 MR. ATHERTON: And that's where I lost you.

28 MR. GILLESPIE: The bottom part - and this
29 is difficult, because what we've got is a staff here
30 that's gone through literally thousands of pages of
31 documentation to come down to these residual comments.

32 And in going through that there are
33 estimates made with corrosion rates that are believed

1 by the applicant - and this is a finding we're trying
2 to make - is believed by the applicant to be
3 reasonably conservative in nature.

4 And there is a coating on the bottom
5 portion of this light bulb fixture containment, and
6 they have measurements from the top part of the
7 containment, which is uncoated, but in a similar
8 environment on the inaccessible side.

9 And I believe the applicant has made some
10 projections using this, and then making the case that
11 the coating really provides this uncoated area
12 measurements are in essence a worst case in their
13 projection.

14 And therefore we've looked at that as a
15 staff, and all their information. And this
16 information was really focusing on the uncertainties
17 that were connected to that projection.

18 It's not that we're making judgments on
19 the uncertainties, but we're trying to make sure that
20 we have the soundest possible number and a good
21 understanding of what could be viewed by some as a
22 worst case projection.

23 Now others could view this projection and
24 the numbers used as not being the worst case, and so
25 I'm very hesitant to use the word, worst case.

26 It's a projection that I think is
27 generally believed, actually representing a
28 measurement in an environment that is more harsh than
29 the environment it's being applied on to a carbon
30 steel piece of metal.

31 And that's what's in the application. And
32 so this meeting is trying to deal with making sure
33 that when we make whatever judgment we need to make,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that we understand what the pluses and minuses
2 connected with that are.

3 And so the staff has actually read the
4 application, and so we had that part done, and we
5 really weren't questioning the rate. We were
6 questioning the uncertainties around it to make sure
7 we could make an appropriate finding.

8 MR. ASHLEY: Thanks a lot, Frank.

9 Mr. Atherton, you still with us?

10 MR. ATHERTON: Yes, can anybody hear me?

11 MR. ASHLEY: Yes, sir.

12 MR. ATHERTON: I'm having connection
13 problems.

14 Let me back up just a little bit farther.
15 On a very general or holistic view of the containment
16 structure, the plant was approved originally to last
17 40 years. That essentially meant back in those days,
18 the '60s and '70s; that the major components of the
19 plant would not fail for a total of 40 years.

20 We're seeing the drywell apparently
21 degrade prematurely which was not anticipated 40 years
22 ago.

23 The projecting that type of discovery into
24 the future for 20 more years, how are we to know as
25 members of the public that you're going to have 20
26 good years left on the material that was supposed to
27 last 40 years and hasn't?

28 MR. ASHLEY: Who's speaking?

29 MR. ATHERTON: My name is Atherton.

30 MR. ASHLEY: Okay, go ahead.

31 MR. GILLESPIE: Well, that's exactly the
32 finding we're being asked to make as part of the
33 license renewal.

1 And first I would refute your assertion
2 that every component in the plant was designed to last
3 40 years.

4 In the basic underlying premise of
5 operation is a large number of surveillances, tests
6 and inspections. And the intent is that the structure
7 and the license be safe for the term of the license,
8 and that includes special tests and analysis, which
9 would detect, prior to violating or causing a safety
10 issue, the degradation of components.

11 And what we're really talking about is
12 taking that same principle and pushing it forward
13 another 20 years. In fact, many of the components in
14 the plant have seen a less severe environment than
15 they were projected in their original design.

16 And it's that baseline and moving it
17 forward; that we're doing with renewal, which is why
18 there are extra commitments in the overall renewal
19 effort to extra special tests and analysis.

20 The intention is not to say it will last
21 20 years; that's an economic issue. It's to say that
22 the licensee has processes and procedures in place
23 that we can inspect and that they can follow that will
24 detect and remediate anything that would cross a
25 safety margin.

26 And that's a different statement than
27 saying, we're saying it will last 20 years. In fact
28 if they would do a test and do a projection in
29 accordance with our interim staff guidance for the
30 renewal period, see water, and do an event test and
31 find out they were approaching minimum wall thickness,
32 they have to do an operability analysis under the
33 current requirements, which also project forward. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they have a decision to make to either repair or shut
2 down.

3 And instances of this we have in other
4 cases in pressurized thermal shock where we're
5 evaluating licenses for 20 years where the pressurized
6 thermal shock analysis for other licensees will not
7 make it to 20 years. But there is a requirement in
8 the rules that if you don't make it you shut down, or
9 you can replace your vessel.

10 And so it's not saying everything will
11 last the period of the license; it's saying the plant
12 will operate safely for the period of the license, and
13 we have reasonable assurance of that.

14 MR. ASHLEY: Thanks, Frank, I appreciate
15 that.

16 MR. BROWN or MS. GOTSCH, do you have a
17 question or comment?

18 MS. GUBER, are you on the line? Did you
19 have a question or comment?

20 MS. GUBER: I have a question. In the 1996
21 inspection report --

22 MR. GILLESPIE: The 1996 inspection report?
23 All the -- that's actually beyond the scope of this
24 meeting, and our general counsel is here. And I
25 understand that that is tied up in the litigation
26 issues right now.

27 All of the NRC's information that we have
28 from 1996 in the NRC inspection reports are public
29 information. The licensee's information, which the
30 NRC at this time does not and has not possessed, is
31 actually tied up in the litigation right now, and
32 we're really not in a position to comment on that.

33 MR. ASHLEY: Go ahead, Mr. Webster.

1 MR. WEBSTER: Okay, great.

2 With regard to the drywell liner and the
3 UT measurements, I guess I'm somewhat surprised that
4 the licensee had already known that the '96 results
5 weren't good, but nonetheless based predictions
6 forward on those '96 results. It seems to me, though,
7 that the QAQC for those results should have identified
8 the level a long time ago, so I'd just like a
9 clarification of why the rejecting wasn't treated
10 closer to the time.

11 MR. GILLESPIE: This is Frank Gillespie
12 with the NRC. And since this is really an opportunity
13 for people to ask the NRC for clarification on what we
14 said, I will answer from the NRC's perspective that
15 right now the people sitting in this room were
16 generally not involved in the details of what happened
17 in 1996.

18 But in looking at that anomaly, I think it
19 would be unfair to say that that was - I forget what
20 your word was - but I'll use an irrelevant
21 measurement. It was a measurement, as we heard from
22 the licensee at this meeting, they looked into it and
23 examined it. They saw it as anomalous. But there was
24 really no reason probably at the time to either
25 exclude it or not include it.

26 MR. WEBSTER: There were three measurements
27 taken, and that '96 result was one of those three. If
28 you take that '96 result out of the analysis the
29 uncertainties become huge.

30 MR. GILLESPIE: And what I'm going to
31 suggest is, that's the exact question that staff has
32 just asked the licensee on uncertainties.

33 MR. WEBSTER: Absolutely, that's why I --

1 MR. GILLESPIE: And so I'm just saying, I'm
2 not in a position, and I'm not trying to put anyone in
3 a position to defend what was done over 10 years ago.
4 But because of the anomalous look at the results,
5 we're really focusing on removing that uncertainty
6 that we specifically pointed out as we project
7 forward.

8 So we fundamentally have just asked the
9 licensee to respond to that question. And we've, by
10 design at this meeting, asked the licensee not to feel
11 obligated to respond today to the staff's concerns.

12 So I guess we're in agreement.

13 One of our concerns you heard from Hans
14 Ashar and I were on the calibration techniques. And
15 I think the licensee responded, they recognize that
16 there are certain coatings and stuff that they have to
17 really be very careful of when they're doing these,
18 and so we have to see what they answer.

19 You're asking for the answer we've asked
20 for, and it's just not the right time for the answer
21 yet.

22 MR. WEBSTER: Now the second issue that I
23 think also relates to the questions you're asking is
24 about how the actual raw measurements get
25 incorporated. One of our concerns is that the
26 uncertainties in these measurements become hidden in
27 the way they're presented, because you take the
28 measurements, get an average and put into one
29 measurement, which is then put on a scatter graph.
30 And then when you look at the scatter graph you don't
31 actually see the underlying uncertainty. All you see
32 is some scatter of averages, which is much less than
33 the actual scatter and the underlying results.

1 Now one of the concerns I have, and we've
2 reviewed these documents from the licensee, and it
3 seems that they're editing the data, that they omit.
4 They actually omit an outlier from the analysis. And
5 again I think this is another way where the
6 uncertainty is made to appear lower than it really is.

7 MR. GILLESPIE: Let me try to answer that.
8 Now this is going to be dangerous. Because I was an
9 engineer 35 years ago, but I'm going to - Hans has
10 been training me for three weeks, Hans Ashar, who is
11 our expert. So let me take a shot at the answer.

12 One, you have to understand, we've
13 basically asked the same question that we need to have
14 a good understanding about how that lower level
15 combination of numbers was done.

16 That was a concern we had, and that's a
17 question we asked.

18 Two, you also have to differentiate;
19 there's two phenomena of interest here. One is
20 pressure during an accident, and the other is
21 buckling.

22 And the interest in the buckling sense,
23 which is really the sandbed region interest, is
24 buckling down at the lower level, is one of general
25 area corrosion, a very broad degradation, and not one
26 of pitting.

27 In fact in any structural member you can
28 actually drill holes in it, and you do not
29 significantly reduce its structural strength.

30 And so knowing that principle I would not
31 want to draw a conclusion on information we don't
32 know. And that's why we've asked for information on
33 how they've done the statistical combination; what was

1 their basis for whatever, throwing out outliers, in a
2 95 percent confidence interval.

3 But for the purposes of buckling, a
4 localized thinning spot is not a principal concern.

5 MR. WEBSTER: Well, I told you, I
6 understand that. But my point is that if you permit
7 that as part of the uncertainty analysis, then you
8 tend to regard the measurement --

9 MR. GILLESPIE: Again, I don't know how
10 they've been included or how they've been admitted, or
11 has it followed standard practice. We've asked that
12 question, and I hope within the next month we'll have
13 a little more amplifying information, and I could give
14 you a more satisfactory answer.

15 We're sharing the same concern.

16 MR. WEBSTER: Absolutely. I understand.
17 I'm very pleased to see that we do share the same
18 question.

19 My present issue --

20 MR. ASHLEY: Mr. Webster, this is Donnie
21 Ashley. You said you had two.

22 Hold the third one, and let me get
23 through, make sure we can touch base with everyone.
24 If we have time we'll come back to you. I have some
25 uncertainty about all four here.

26 Let me leave this --

27 MR. GILLESPIE: Just in case we get cut off
28 from everybody, email Donnie Ashley and we will get
29 back to you by email on any questions that we don't
30 get to, because our phone system doesn't seem to be
31 working as good as I'd like it to.

32 MR. ASHLEY: Thanks, Frank.

33 Mr. Clunn from the Astbury Park Press, do

1 you have any questions or comments? Nick Clunn? I
2 guess we lost him a few minutes ago.

3 Ronzak (phonetic) or Ridgepenny (phonetic)
4 with New Jersey DEP, any questions or comments from
5 you?

6 MR. PINNEY: No, we have no questions
7 here.

8 MR. ASHLEY: Okay. Dennis Zannoni, would
9 you like to come down to the podium? I would like for
10 you to go ahead so they can hear your comments as
11 well.

12 Mr. Warner, if you'd wait just one second.

13 MR. ZANNONI: Dennis Zannoni, Z-a-n-a-o-n-
14 I.

15 I'd also like to thank the Nuclear
16 Regulatory Commission for having this meeting. I
17 think it's obviously necessary.

18 So having the next meeting if it's
19 conducted in the afternoon would also help me, since
20 I have to drive up, since we're facing a very
21 substantial budget deficit in New Jersey as you
22 probably heard.

23 First, I want to mention that - and this
24 is mostly for Frank's edification, because he is
25 coming to our office I guess within two weeks with
26 some of his staff, to give you a little bit of the
27 flavor of what we're going to talk about, and it does
28 relate to what we're covering here, and that is, there
29 is a little bit of confusion on the ruling made by
30 ASLE and its staff's attorneys, and it's mostly a
31 question directed at the attorney, that we would like
32 the NRC to clear up the fact that we are not a party
33 or involved with the contention on the liner or

1 drywell shell in any way.

2 And I guess ASLB made that clear, but some
3 kind of communication has come down the path, and it's
4 affecting our ability to do work, that we're somehow
5 tied up with that.

6 It would be nice if you could clarify that
7 here today, but I know you're not.

8 We're going to pick that up when we talk
9 too, because it is affecting what we're doing. We go
10 to meetings, and people are confused about what our
11 role is.

12 We do have three appeals to the
13 Commission, but they have nothing to do with the
14 liner.

15 And we have a good reason for that,
16 because we have our own staff that have made their own
17 conclusions, and I have to tell you, quite frankly, I
18 was at a meeting here discussing the same drywell line
19 issue when the company was going for a conversion from
20 the full-term operating license to the - or from the
21 provisional operating license to the full term
22 operating license, and it was only at the insistence
23 of New Jersey that they took very aggressive
24 protective corrective actions. I don't know if even
25 anybody here at the AmerGen table was here. But
26 removing the sand and all of that was very, very
27 positive, and we view that in a way that we thought at
28 the time was good for until April, 2009.

29 So our position right now, and Ron is
30 online, and he's our expert actually on the drywell
31 shell - he keeps telling me to call it a shell, not a
32 liner - is right now positive. And the rigor that I
33 see addressed here for that one issue, I wonder if

1 that's going to spill into many, many other issues
2 that we feel an equal amount of rigor is needed.

3 Because you guys are going into some depth
4 here that we are going to talk about again to see if
5 it applies in maybe some other areas that could
6 benefit from that, more so than the liner.

7 Anyway, that said, we also need to have
8 some kind of - we don't know when the commission is
9 bound. If not, I understand it's not to make
10 decisions on the appeals that we submitted. Again, it
11 has bearing, because the more they wait, the less we
12 can interact with NRC staff on those specific issues.

13 And if they made a decision one way or the
14 other, then we could get on with it. So we'll
15 probably submit that in writing, but I'm just giving
16 you a flavor of some of the topics that we're going to
17 talk about.

18 Now specific to this meeting. Frank, you
19 said earlier in the meeting you said you may - the NRC
20 may recalculate something. And then later you said
21 they will recalculate something.

22 I just need to know, you are going to
23 recalculate something. What are you going to
24 recalculate?

25 MR. GILLESPIE: Our intention right now is
26 to do a comparative calculation to the GE calculation
27 of 1991.

28 MR. ZANNONI: The one with the disclaimer?

29 MR. GILLESPIE: The one with - well, that
30 was a piece of it. That report fed into the data that
31 went into that calculation, and our intention would be
32 to do kind of a comparative calculation.

33 Ours doesn't need to be as rigorous as

1 theirs, because we're doing it as a confirmatory
2 measure, not as a decision tool on their part. So
3 we're likely going to do that to get a perspective
4 ourselves on the conservatisms that have been assumed
5 in that calculation.

6 And so it's just an independent look. And
7 we do this in thermal hydraulics. We do it in a
8 seismic area. We do it in a lot of different areas
9 occasionally.

10 The other piece is, we have six more Mark-
11 ls coming in, and so for the renewal group, we're kind
12 of setting a precedent. Because all of those same
13 questions exist on all of those same containments.

14 And so part of this calculation will be
15 giving us knowledge to a specific operating history
16 and a specific calculation that GE did.

17 MR. ZANNONI: Is it going to be done in
18 house or contracted?

19 MR. GILLESPIE: Part of this meeting is not
20 discussing how the NRC will do this piece of the
21 review.

22 MR. ZANNONI: I'll ask it at some point in
23 the future. It tells what kind of depth you're going
24 to do which is pretty - if it's in house it's one
25 thing -

26 MR. GILLESPIE: Well, we're going to have
27 outside experts helping us. And any report that's
28 done will be public.

29 MR. ZANNONI: You mentioned, I guess for my
30 own information and information concerning New Jersey,
31 are there other - the rigor that you - the depth and
32 the rigor that I send that you're requesting from
33 AmerGen for Oyster Creek, have there been other plants

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that have similar drywells gone through similar rigor?
2 Or is this something new that you are going to ask
3 plants to take a closer look at that have already
4 gotten license renewal?

5 MR. GILLESPIE: There's two questions. The
6 answer is yes, everyone else is going through a
7 virtually similar process. But everyone has different
8 operating histories.

9 I'll give you a specific one. We're going
10 to ACRS, Nine Mile Point. Nine Mile Point has an
11 operating history with no visual leakage. They also
12 have welds around their seals. And so seals, for
13 example, at bellows, are not an issue.

14 They have actual electronic alarm systems
15 on their drains. They actually have a float alarm on
16 - there is a ledge in there that goes under the seal.
17 And they put bore scopes up there and looked in with
18 TV cameras and saw dust.

19 And so it's a form of rigor, but it's a
20 different operating situation, and a slightly
21 different design. So I would suggest that in essence
22 all the licensees with this kind of containment are
23 going through the same process, and the same level of
24 detail, and trying to be just as certain about their
25 projections, and the projections being used there,
26 they're taking them from the torus at the water level
27 where they do UTs, and it's a very aggressive area.

28 MR. ZANNONI: Plants that have already been
29 approved?

30 MR. GILLESPIE: No, this one is in house.
31 Brown's Ferry we did a similar rigorous review. And
32 they had some unknown leakages, and they committed to
33 an inspection regime. And theirs was the 10-year kind

1 of one. And that's through, and that license has been
2 issued.

3 Brunswick does not have a shell; it has a
4 liner. And the design difference there is, the
5 structural elements, the concrete, is not the steel;
6 the steel is basically a seal.

7 And so the answer is yes. Now the
8 difference here is, the visibility of Oyster Creek is
9 different than the others. And so a lot of what we do
10 with these other facilities is closer - you know what
11 I mean -- it's not quite as visible.

12 So every one is going through, you could
13 say, an equal type of review, customized to their
14 operating history, the operating conditions and the
15 past events.

16 MR. ZANNONI: I know Donnie is going to cut
17 me off. But just one last comment for the public
18 that's listening, I know Peter Atherton did mention
19 about confidence that the public is looking for, not
20 only in this issue but all of license renewal.

21 I'll just throw out, and I always mention
22 this, that in addition to AmerGen's huge workload to
23 meet all the requirements - they got the NRC looking
24 at it - we also as a state have a group of about 15 to
25 20 professionals, I already mentioned that we have a
26 very sound expert in structural stuff on staff who has
27 worked with Oyster Creek for awhile. And this hearing
28 if anything comes out of it, hopefully it will be
29 positive.

30 So the net result here, and I don't want
31 anybody to miss this, and it's too bad the press
32 wasn't here, is that this is getting a lot of eyes and
33 a lot of attention. So that has to give the public

1 some sense of, they're not alone in this process.

2 So that's why I exist just to put it
3 bluntly, so thanks.

4 MR. ASHLEY: Thank you, Mr. Zannoni.

5 MR. ASHAR: This is Hans ASHAR, NRC.

6 Let me say that for the general analysis
7 purpose, the applicant has taken an approach where
8 they are taking an average, but in addition to that,
9 they also do the discontinuity analysis for the thin
10 areas. Thin areas are where there are small sparks
11 which might have been missed in averaging they might
12 have counted as thin areas, but they have taken a
13 number of places which are thin, and they have
14 analyzed separately to understand the discontinuity
15 stresses and their ability to withstand the loads
16 they're supposed to withstand.

17 MR. GILLESPIE: Okay, this is Frank
18 Gillespie. Let me amplify a little more. Because now
19 I'm going to take what Hans just said and say, that's
20 also part of the actual sample of the smaller area
21 that's scanned.

22 This is a very, very, very large vessel,
23 and the representative nature of the sample that was
24 earlier worked on with literally thousands of
25 measurement points by the applicant to ensure that
26 even those areas that are scanned, and the 49 points
27 that are averaged, are the right areas to be scanned.

28 And that's why we did ask an additional
29 question here to reconfirm right now the
30 representative nature of those areas, exactly so you
31 couldn't get a substantial elongation or a major flaw.

32 So there's two things. One is the 49
33 points, which is a smaller, very small area, and the

1 other is the location of those small areas through the
2 vessel itself.

3 And if you would look at the much earlier
4 data of all the thousands of points that were done and
5 reviewed by the NRC, it's that representative nature
6 that actually covers your large perforation kind of
7 question. It's not the 49 measurement points which
8 were averaged, for maybe a 6 by 6 inch kind of area.

9 MR. ASHLEY: Thanks, Frank.

10 In closing I appreciate everyone's
11 participation. I appreciate -- I'm sorry, we're going
12 to be out of time, and the phone is going to shut you
13 off in about two minutes.

14 But we do appreciate everyone's coming out
15 to participate in this meeting. And again, if you
16 need additional information, or if you have questions,
17 send me email. My email address is on the website.

18 And once again, thanks to everyone, and
19 we'll adjourn at this point.

20 MR. GILLESPIE: Thank you.

21 (Whereupon at 11:58 p.m. the
22 proceeding the above-entitled matter went off the
23 record to return on the record at 11:58 a.m.)

24 MR. GUNTER: That's all right. This is
25 Paul Gunter, G-u-n-t-e-r,

26 I'm with Nuclear Information Resource
27 Service.

28 There's a whole lot of questions, and I'm
29 sorry that Richard Wester wasn't able to complete, but
30 we'll go ahead and supplement the record by email.
31 And I guess that could be incorporated into the
32 transcript as well? Can we have email questions
33 incorporated into the transcript?

1 MR. ASHLEY: I don't think we can have
2 email questions in the transcript. But we can include
3 it in the summary. We'll put it in the meeting
4 summary.

5 MR. GUNTER: Okay, that's fine, that's fair
6 enough.

7 MR. GILLESPIE: And our meeting summaries
8 are all put on our website.

9 MR. GUNTER: You know for the sake of time
10 I'm just going to ask one question here, and it gels
11 back earlier to a comment that Frank made with regard
12 to the 1990 GE report, and the assumptions that went
13 into the corrosion and degradation.

14 I thought I heard you say that the NRC has
15 - they've identified a degradation uncertainties
16 within that GE report. Was that correct? Was I
17 correct in hearing that?

18 . . . And I think that was the basis of your
19 going back and doing the recalculations; right?

20 . . . So I'm asking first of all for
21 clarification on what you've identified in the GE
22 report that raised degradation uncertainties. And if
23 you could identify those for us right now.

24 MR. GILLESPIE: Okay, I'm not sure how much
25 detail Hans is in a position to go into. It was an
26 accumulation fo fundamentally the underlying
27 assumptions that went into it. And they appear to be
28 conservative, but one of the only ways to test the
29 overall conservatism of the assumptions is just to do
30 a calculation with an independent person making an
31 independent view of it.

32 But Hans, you did that?

33 MR. ASHAR: Yes, if you heard us on the

1 first or second questions that we had for the
2 applicant, you might have heard that we requested the
3 applicant to at least clarify as to what has been said
4 in their statistical inference report that is attached
5 to the GE report by the way they interpreted the
6 measurements, and how they statistically put together,
7 both that particular report findings were used, or
8 some other metrics were used. That was our question
9 to them before, and I'm looking for those answers.

10 MR. GUNTER: Right. So it's not so much
11 that you're questioning the degradation mechanism
12 itself?

13 MR. ASHAR: No.

14 MR. GUNTER: So one of our concerns is
15 that, for example, I think it's been referenced here
16 a number of times that there was - in order for the
17 sandbed region to be - for the UT to resume at the
18 sandbed, there was the event trigger for the presence
19 of water.

20 But it's always been our concern that -
21 there was I believe a '95 exemption that provides for
22 a 12-gallon-per-minute leak rate, and that constitutes
23 what we believe to be a significant event.

24 So during the refueling outages, there is
25 this '95 exemption that provides, to reiterate, 12
26 gallons a minute leak rate.

27 So it's been a question for us why we've
28 not seen this reevaluation with UT at the sandbed, and
29 more particularly for the embedded region, so I think
30 it's been raised here this morning that there needs to
31 be a closer look at a number of areas for the
32 reevaluation with UT. Crevice corrosion should be one
33 of these areas, we believe. And I don't know what

1 level of confidence we have on the seals around -
2 between the steel liner and the concrete. But I think
3 that it's reasonable that we shouldn't be relying upon
4 - that these seals are necessarily going to be high
5 confidence seals.

6 So as you are looking at the ledges that
7 were raised here today, we would strongly advise that
8 the UTs be resumed at the levels below the sandbed
9 region.

10 Hans, do you think that that is a
11 reasonable request?

12 MR. ASHAR: Well, because this area is not
13 accessible from any side, there is a state of the art,
14 which is not being used by so many people. And we
15 recommended its use if they can do that.

16 So we are trying to understand from them
17 what they are going to do to gain the confidence that
18 that area is being considered in a sample size.

19 MR. GILLESPIE: I'd also like to say, we
20 have a broader level of operating experience than just
21 Oyster Creek. And so we do have some sense, and a
22 generic idea of - there are some licensees who
23 actually went in and chipped concrete up and did some
24 measurements. Not all of them. They did that in a
25 response to the generic letter in 1987 we put out.

26 The other element is, we do kind of have
27 an understanding of the environment. But we need the
28 applicant to tell us what that environment is, and why
29 it's okay.

30 They're going in and looking at the
31 coatings in those areas. Basically you've committed
32 to verifying those 100 percent, and a third, as you've
33 been doing each time, for the three bays each time, or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 something.

2 I don't know the details of that, and when
3 the little person goes in this gap and does this
4 inspection, whether they can eyeball the seals or not.

5 MR. GUNTER: Again, I've not seen a
6 commitment to the seals.

7 MR. GILLESPIE: Okay. I'm going to leave
8 it to Hans, as the expert, to say whether we need a
9 commitment to that.

10 The other thing is, at least in the prints
11 I saw, when we looked at the drain arrangement without
12 the sand, it looked like the low points is where the
13 drains were located in the sandbed area.

14 So there are some actual physical
15 limitations on the accumulation it appears of water
16 that actually could accumulate by those seals.

17 We're asking the licensee to come in and
18 put all of these things together in this integral
19 discussion of this area that is sandwiched with
20 concrete.

21 It's more than just the chemistry that I
22 mentioned we talked to ACRS about. And so that's on
23 their plate to explain it.

24 It may not be everything that someone else
25 may want, but we're charged with making an adequate
26 protection or reasonable assurance finding, and we do
27 have like I said other operating experience from other
28 plants, so we're not totally isolated here.

29 Yes.

30 MR. ZANNONI: I think someone in the room
31 knows the answer to this question, but is water an
32 intrusion on this vessel part of license renewal
33 space? I was told it wasn't. I mean it could leak.

1 it could flow, but it doesn't have a basis in license
2 renewal space.

3 MR. GILLESPIE: Let me say it this way.

4 MR. ZANNONI: I was told that it did.

5 MR. GILLESPIE: The component is large, the
6 component corrodes, and the component has a safety
7 function.

8 That means the component is part of
9 license renewal and has to be addressed. In fact that
10 means it has to have an aging management program.

11 And if the water is allowed then the aging
12 management program has to be such that it ensures the
13 component's safety function will not be compromised
14 with the water there.

15 And so the water leakage is not part of
16 renewal.

17 But the environment, which is a high
18 corrosive environment that the water creates, is part
19 of license renewal. And so that's really why we're
20 talking. Because part of the general solution for
21 most licensees - and I'll get off Oyster Creek now -
22 most licensees are using is a combination of coatings
23 - we just did Monticello with ACRS - they have a
24 primer coating on the external surface. So it's a
25 combination of coatings, leak control and leakage
26 monitoring.

27 Both leak control and leakage monitoring,
28 which put their seals in scope, because they said,
29 okay, part of our aging management program for this
30 environment is the seals, and we're not going to have
31 leakage in the seals, so we'll have highly reliable -
32 and so no.

33 But certainly the absence of water makes

1 aging management far easier.

2 MR. ZANNONI: That's a helpful
3 clarification.

4 MR. GILLESPIE: Thank you, Mr. Zannoni.

5 Let me not make this mistake again. Is
6 there anyone else who has a question or a comment in
7 the room?

8 Mr. Recorder, you can turn it off.

9

10 (Whereupon at 12:08 p.m. the proceeding in the above-
11 entitled matter was adjourned)